

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

SUPERIOR COURT OF THE STATE OF CALIFORNIA
COUNTY OF SAN BERNARDINO

DEPT. R8

HONORABLE J. MICHAEL GUNN, JUDGE

CHINO BASIN MUNICIPAL
WATER DISTRICT,

PLAINTIFF,

VS.

CITY OF CHINO,

DEFENDANT.

)
)
)
)
)
)
)
)
)
)
)

RCV 51010

REPORTER'S TRANSCRIPT OF ORAL PROCEEDINGS
THURSDAY, NOVEMBER 29, 2007

COPY

REPORTED BY:

GAIL GREENLEE, C-8647
OFFICIAL REPORTER

APPEARANCES

1
2
3 SPECIAL REFEREE: **ELLISON, SCHNEIDER & HARRIS, LLP**
4 BY: **ANNE J. SCHNEIDER**
5 2015 H. STREET
6 SACRAMENTO, CA 95814-3103
7
8 RESEARCH ATTORNEY **JUDITH A. SCHURR**
9 TO SPECIAL REFEREE: 76-433 SHOSHONE DRIVE
10 INDIAN WELLS, CA 92210
11 (760) 837-9297
12
13 FOR CHINO BASIN **HATCH & PARENT, A LAW CORPORATION**
14 WATERMASTER: BY: **MICHAEL T. FIFE** and
15 **SCOTT S. SLATER**
16 21 EAST CARILLO STREET
17 SANTA BARBARA, CA 93103
18 (805) 963-7000
19
20 FOR MONTE VISTA **McCORMIC, KIDMAN & BEHRENS, LLP**
21 WATER DISTRICT: BY: **BOYD L. HILL**
22 650 TOWN CENTER DRIVE, SUITE 100
23 COSTA MESA, CA 92626-7187
24 (800) 755-3125
25
26 CITY OF **JENKINS & HOGIN, LLP**
27 CHINO HILLS: BY: **MARK HENSLEY**
28 1230 ROSECRANS AVENUE, SUITE 110
29 MANHATTAN BEACH, CA 90266
30 (310) 643-8448
31
32 CITY OF CHINO: **JAMES E. ERICKSON**
33 28371 VIA ORDAZ
34 SAN JUAN CAPISTRANO, CA 92675
35 (949) 632-5600
36
37 CHINO BASIN WATER **BRUNICK, McELHANEY & BECKETT**
38 CONSERVATION: BY: **WILLIAM J. BRUNICK** and
39 1839 COMMERCE CENTER WEST
40 SAN BERNARDINO, CA 92408
41 (909) 889-8301
42
43 THREE VALLEYS **BRUNICH, McELHANEY & BECKETT**
44 MUNICIPAL WATER BY: **STEVEN M. KENNEDY**
45 DISTRICT: 1839 COMMERCE CENTER WEST
46 SAN BERNARDINO, CA 92408
47 (909) 889-8301

APPEARANCES, CONT'D

1
2
3 CUCAMONGA VALLEY **BEST, BEST & KRIEGER**
4 WATER DISTRICT: BY: **JILL N. WILLIS** and
5 **STEFANIE D. HEDLUND**
6 5 PARK PLAZA, SUITE 1500
7 IRVINE, CA 92614
8 (949) 263-6593

9 FONTANA UNION WATER **McPETERS, McALEARNEY, SHIMOFF**
10 and SAN ANTONIO BY: **THOMAS H. McPETERS**
11 COMMUNITY WATER: 4 WEST REDLANDS BOULEVARD
12 REDLANDS, CA 92373-0661
13 (909) 792-8919

14 WESTERN MUNICIPAL **JOHN J. SCHATZ**
15 WATER DISTRICT: P.O. BOX 7775
16 LAGUNA NIGUEL, CA 92607-7775
17 (949) 683-03398

18 CITY OF UPLAND and **RICHARDS, WATSON, GERSHON**
19 WEST END WATER CO: BY: **WILLIAM P. CURLEY, III** and
20 **STEVEN R. ORR**
21 1 CIVIC CENTER CIRCLE
22 BREA, CA 92822-1059
23 (714) 990-0901

24 AGRICULTURE POOL: **REID & HELLYER**
25 BY: **STEVEN G. LEE**
3880 LEMON STREET, FIFTH FLOOR
RIVERSIDE, CA 92502-1300

STATE OF CALIFORNIA: **OFFICE OF THE ATTORNEY GENERAL**
BY: **JENNIFER NOVAK**
300 SOUTH SPRING STREET, SUITE 5000
LOS ANGELES, CA 90013
(213) 897-4953

CITY OF CHINO: **JIMMY L. GUTIERREZ**
BY: **JIMMY L. GUTIERREZ**
12616 CENTRAL AVENUE
CHINO, CA 91710
(909) 591-636

APPEARANCES, CONT'D

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
CITY OF POMONA:

**LAGERLOF, SENECAL, GOSNEY &
KRUSE, LLP**
BY: **THOMAS S. BUNN, III**
301 NORTH LAKE AVENUE, 10TH FLOOR
PASADENA, CA 91101-4108
(626) 793-9400

INLAND EMPIRE
UTILITIES AGENCY:

CIHIGOYENETCHE, GROSSBERG
BY: **JEAN CIHIGOYENETCHE**
8038 HAVEN AVENUE, SUITE E
RANCHO CUCAMONGA, CA 91730

CITY OF ONTARIO:

NOSSAMAN GUNTHER KNOX ELLIOTT, LLP
BY: **ALFRED E. SMITH**
455 SOUTH FIGUEROA STREET
31ST FLOOR
LOS ANGELES, CA 90071
(213) 612-7801

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

REPORTED BY: GAIL GREENLEE, C-8647
OFFICIAL REPORTER

1 **ALSO PRESENT:**

2

3 **JOE SCALMANINI**
4 **LUHDORFF & SCALMANINI**
5 **CONSULTING ENGINEERING**

6 **CHINO BASIN** **KENNETH R. MANNING, CEO**
7 **WATERMASTER:** **SHERI M. ROJO, CPA**
8 **AMY STEINFELD**
9 **9641 SAN BERNARDINO RD**
10 **RANCHO CUCAMONGA, CA 91730**
11 **(909) 484-3888**

12 **CONSULTANT TO** **WILDERMUTH ENVIRONMENTAL, INC.**
13 **WATERMASTER:** **MARK WILDERMUTH**
14 **ANDYREW MALONE, JOE LeCLAIRE**
15 **BILL LEEVER and THOMAS McCARTHY**

16 **CUCAMONGA VALLEY** **MARK E. ZVIRBULIS, KATHY TIEGS,**
17 **WATER DISTRICT:** **and ROBERT A. DELOACH**

18 **SAN ANTONIO WATER:** **CHARLES MOOREES**

19 **CHINO BASIN WATER** **EUNICE ULLOA and KATI PARKER**
20 **CONSERVATION DISTRICT:**

21 **WATERMASTER, BOARD** **PAUL HOFER and**
22 **OF AGRICULTURE and** **GEOFFREY VANDEN HEUVEL**
23 **CHINO BASIN WATER**
24 **CONSERVATION DISTRICT:**

25 **THREE VALLEYS**
26 **MUNICIPAL WATER DIST:** **RICHARD W. HANSEN, P.E.**

27 **WESTERN MUNICIPAL**
28 **WATER DIST:** **JOHN V. ROSSI, GENERAL MANAGER**

29 **MONTE VISTA WATER** **SANDRA ROSE**
30 **DISTRICT and**
31 **WATERMASTER BOARD:**

32 **ORANGE COUNTY WATER** **GREG WOODSIDE**
33 **DISTRICT:**

34 **WESTERN MUNICIPAL** **CHARLES D. FIELD**
35 **WATER DISTRICT:**

36 **TODD ENGINEERS:** **PHYLLIS STANIN,, PG, CH, CEG**

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

INDEX OF WITNESSES

KENNETH R. MANNING

Direct examination by Mr. Fife 55

MARK WILDERMUTH

Direct examination by Mr. Slater 75

Cross-examination by Ms. Schneider 118

1 RANCHO CUCAMONGA, CALIFORNIA THURSDAY, NOVEMBER 29, 2007

2 P.M.

3
4 DEPT. R8

HONORABLE J. MICHAEL GUNN, JUDGE

5
6 APPEARANCES: SET FORTH ON APPEARANCE PAGES.

7 (GAIL GREENLEE, C-8647, OFFICIAL REPORTER)

8 ---###---

9 THE COURT: Okay. Let's go on the record in the
10 case of Chino Basin Municipal Water District vs. City of
11 Chino, RCV 51010. I guess we will start with Mr. Slater
12 and we'll bob and weave our way back, I guess

13 MR. SLATER: Good afternoon, Your Honor.
14 Scott Slater on behalf of the Chino Basin Watermaster.

15 MR. FIFE: Michael Fife; Chino Basin
16 Watermaster.

17 THE COURT: I take everyone.

18 MR. ERICKSON: Jim Erickson, City of Chino.

19 MR. MCCARTHY: Tom McCarthy, Wildermuth
20 Environmental Group representing Chino Basin
21 Watermaster.

22 THE COURT: Okay.

23 MR. HILL: Boyd Hill, Monte Vista Water
24 District.

25 MR. HENSLEY: Mark Hensley, City of Chino

1 Hills.

2 MR. SMITH: Good afternoon, Your Honor.
3 Alfred Smith, City of Ontario.

4 MR. WILDERMUTH: Mark Wildermuth, consultant
5 to Watermaster.

6 THE COURT: Okay.

7 MR. SCHATZ: John Schatz on behalf of
8 Western Municipal Water District.

9 MR. MANNING: Ken Manning, CEO, Chino Basin
10 Watermaster.

11 MR. ORR: Steven Orr, City of Upland.

12 MR. KENNEDY: Steve Kennedy, Three Valleys
13 Municipal Water District.

14 MR. McPETERS: Good Afternoon, Your Honor.
15 Tom McPeters, Fontana Union Water Company and
16 San Antonio Community Water Company.

17 THE COURT: Standing by your word that over
18 water, they will fight; right?

19 MR. McPETERS: We are here today to do same.

20 MR. MOOREES: Charles Moorees, San Antonio
21 Water Company.

22 MS. WILLIS: Good afternoon, Your Honor.
23 Jill Willis on behalf of Cucamonga Valley Water
24 District.

25 MR. ZVIRBULIS: Marty Zvirbulus, Cucamonga

1 Valley Water District.

2 MR. DeLOACH: Robert DeLoach, Cucamonga
3 Valley Water District.

4 MS. TIEGS: Kathy Tiegs, Cucamonga Valley
5 Water District.

6 MR. CURLEY: William Curley, City of Upland
7 and West End Water Company.

8 MR. LA: Anthony La, City of Upland.

9 MR. JESKE: Ken Jeske, City of Ontario.

10 MR. LEE: Steven Lee of Reid & Hellyer on
11 behalf of the Agricultural Pool.

12 MS. ULLOA: Good afternoon, Your Honor.
13 Eunice Ulloa with Chino Basin Water Conservation
14 District.

15 MR. VANDEN HEUVEL: Geoffrey Vanden Heuvel,
16 Watermaster board member representing the Ag pool, and
17 board member of the Chino Basin Water Water Conservation
18 District.

19 MR. BRUNICK: Bill Brunick, Chino Basin
20 Water Conservation.

21 MS. PARKER: Kati Parker from Chino Basin
22 Water Conservation District.

23 MR. HOFER: Good afternoon, Your Honor.
24 Paul Hofer, Watermaster, Board of Agriculture and the
25 Chino Basin Water Conservation District Pool.

1 MS. ROSE: Sandra Rose, Monte Vista Water
2 District and Watermaster board member.

3 MR. WOODSIDE: Greg Woodside, Orange County
4 Water District.

5 MR. LEEVER: Good afternoon, Your Honor.
6 Bill Leever, Wildermuth Environmental.

7 MR. GARIBAY: Good afternoon, Your Honor.
8 Raul Garibay, City of Pomona.

9 MR. PEPPER: Henry Pepper, City of Pomona.

10 MS. STEINFELD: Amy Steinfeld, Chino Basin
11 Watermaster.

12 MS. HOERNING: Rosemary Hoerning, City of
13 Upland.

14 MR. LeCLAIRE: Good afternoon.
15 Joe LeClaire, Wildermuth Environmental.

16 MS. ROJO: Sheri Rojo, Chino Basin
17 Watermaster.

18 MR. CROSLEY: Good Afternoon, Your Honor.
19 David Crosley, City of Chino.

20 MR. CRAIG: Ron Craig, City of Chino Hills.

21 THE COURT: Okay. If Wildermuth
22 Environmental were a large firm, they would be the
23 largest law firm in attendance; huh?

24 MR. CIHIGOYENETCHE: I came in late. Jean
25 Cihigoyenetché on behalf of Inland Empire Utilities

1 Agency.

2 THE COURT: Okay.

3 MS. SCHURR: Judith Schurr, research
4 attorney for special referee.

5 MS. SCHNEIDER: Good afternoon, Your Honor.
6 Anne Schneider, special referee.

7 MR. SCALMANINI: Good afternoon, Your Honor.
8 Joe Scalmanini with Luhdorff and Scalmanini, Consulting
9 Engineering.

10 THE COURT: Okay. The way I understand it,
11 with the latest joinders, that everybody is in agreement
12 that the motion should be granted. So I think we can
13 dispense with that aspect of any presentation that you
14 were prepared to make. And in other words, you can
15 start right in with Wildermuth or whoever you wish to
16 do, Mr. Slater.

17 MR. SLATER: Your Honor, thank you. If I
18 might, we carefully read your order to show cause. And
19 the primary purpose of today's hearing was to address
20 the issue as to whether this motion should be continued
21 into the spring of 2008 or we should appear today
22 prepared to handle Mr. Wildermuth to respond to
23 questions that you had.

24 In addition, Your Honor anticipated the fact
25 that the special referee would be filing a or may be

1 filing a report, and that that report might contain
2 things that either engender greater confidence in the
3 Peace II Measures or raise questions and concerns.

4 So to fully respond to the order to show
5 cause and to provide a proper context, we'd like to
6 prepare or offer some argument this morning followed by
7 testimony by Mr. Manning and then by Mr. Wildermuth.

8 THE COURT: Okay.

9 MR. SLATER: To begin with, Your Honor, in
10 preparing for this hearing today and having the
11 opportunity to read Ms. Schneider's reports and
12 recommendations, we prepared a lengthy response,
13 point-by-point rebuttal, if you will, and thought about
14 that as a potential use of our time today. But driving
15 in to the hearing today, I'm struck by a couple ironies.

16 Maybe about thirty-five years ago, I
17 happened to be digging a ditch over off of Archibald
18 Road. You see, my father was a plumber, and so I had my
19 first introduction to water law as being his ditch
20 digger on side jobs. This was designed to encourage me
21 to go further with my life and career rather than ending
22 up as a ditch digger. So I was struck by the irony of
23 driving by the apartment complex that I happened to have
24 a little part of history with.

25 About twenty-five years ago, I had another

1 opportunity, a lot more interesting and entertaining. I
2 had the privilege of serving as Anne Schneider's law
3 clerk while Anne was a lawyer with another firm, but I
4 was in law school. And I was privileged with the
5 opportunity to serve, and found her to be a generous and
6 kind professional. And it was a great experience. But
7 that was 1983. And I had a lot more hair then. And as
8 Your Honor knows, it's not 1983 and it's not 1994. It's
9 not even 1999.

10 And I raise that because things have
11 changed, Your Honor. Things have changed remarkably as
12 a result of Your Honor's leadership, and the wisdom in
13 installing the nine-member board. I note an anecdotal
14 story for you.

15 When Hatch & Parent was hired initially as
16 the general counsel for Watermaster, we were called upon
17 to prepare what was rather an innocuous document, I
18 thought. It was a mere status report. And so, having
19 interviewed then the chief of Watermaster services,
20 Tracy Stewart -- you may remember her -- we quickly
21 penned out a status report and filed it with the Court,
22 only to find that within ten minutes, there were threats
23 to fire us because we had improperly, unbeknownst to us,
24 stated a theory and cause of action in a way that seemed
25 to cut against some of the interests in the basin.

1 Maybe we were insane, but at that time, Anne Schneider
2 had proposed to the group that they ought to read a book
3 called *Getting to Yes*. And the parties took that to
4 heart, along with Your Honor's admonition about getting
5 men to the moon. And they took to heart and actually
6 began to believe that agreements, living by agreements,
7 and caring for their activity by agreement was the best
8 way to go about doing things rather than fighting them
9 out in front of Your Honor. Not that they don't enjoy
10 Your Honor and your leadership. But the theory of water
11 people is is that they would like to be able to balance
12 and weigh the risks before engaging in significant
13 undertakings which have dramatic impact for the rate
14 payers and their constituents over the long term.

15 And so consistent with that philosophy,
16 since 2000, we have not had, not one, not a single
17 contested motion before Your Honor. Not one. And we
18 have had pleadings filed from time to time. But Your
19 Honor has always been very careful to admonish us to get
20 busy and solve the problems. And we have done that in
21 every single instance in which there has been a decision
22 that was required to be made since 2000.

23 So, we find ourselves since 2000, having
24 made hundreds of millions of dollars of investments in
25 furtherance of the interests of the Inland Empire, the

1 Chino Basin, and the State of California. We have
2 hundreds of millions of dollars in commitments, in
3 construction of desalters, and purchasing the water made
4 available, in recharge facilities, in recycled water.
5 All of these things have happened in an environment of
6 peace where parties are not bringing their disputes to
7 Your Honor to have them aired. And the process that has
8 been created, the public interest oversight by the
9 nine-member board and the Watermaster process, has
10 allowed these projects to move forward without
11 interference internally or externally. Your Honor
12 doesn't see lawyers from Orange County or the
13 Metropolitan Water District or the State Attorney
14 General's office down here complaining of how we're
15 going about our business.

16 I lay that foundation as a backdrop for the
17 Peace II Measures. I'd like to talk a little bit about
18 the present context under which we bring you these Peace
19 II Measures. Your Honor will recall that in the
20 original Peace Agreement, the parties were pushed,
21 cajoled, encouraged to embrace desalting. And there
22 were significant questions about how to pay for it, the
23 capital investments, who would buy the water, how would
24 it be distributed. And there were some vagaries left in
25 the 2000 Agreement that needed to be responded to by the

1 parties.

2 But Your Honor approved the 2000 Agreement
3 and away we went, coming back with further additional
4 implementing agreements presented to the Court and
5 clearing out contingencies as we went along our way.
6 But there was a reserved question that Your Honor put to
7 the parties. And that was we're fine with 20,000 acre
8 feet of desalting today recognizing your carrying
9 capacity as a community, and given the substantial
10 expense. But we want to leave open the question of
11 future desalting. And so the Court ordered that
12 Watermaster would report back on a time certain about
13 progress related to this subject of future desalting.

14 Being prudent, being thoughtful and knowing
15 how difficult things are, in an effort to build a
16 consensus, Watermaster initiated discussions regarding
17 what we are doing now back in 2004. It's now almost
18 2008. A lot of things happen between 2004 and the
19 present time. The parties began discussing what might
20 be required, and there were technical questions. So
21 after convening about six months of negotiations, the
22 parties quit. Not permanently. They just said what's
23 the point. We need more technical data.

24 So, Mr. Wildermuth who works for Watermaster
25 was assigned the task of beginning to investigate ways

1 in which we might go about desalting more water and what
2 corresponding adjustments would need to be made with
3 regard to our Basin management strategies. That began
4 in 2005.

5 Ultimately, Mr. Wildermuth produced a
6 report, series of technical analysis. And the
7 Watermaster parties proceeded to negotiate, and then
8 release a draft term sheet, not the ultimate nonbinding
9 one that we agreed to, but a draft term sheet that was
10 designed to gain public input. We ran through a lengthy
11 process, held public workshops.

12 And one of the key features of that original
13 version was the thought that there might be effectively
14 unbounded overdraft for a period of years while we
15 pursued hydraulic control. That was one of the initial
16 elements in the discussion that was had among the
17 parties about whether to go forward or not.

18 But it was by intervention of some of our
19 board members and the public who thought about not what
20 was just an engineering nicety or something that might
21 be feasible and interesting to do, or might have great
22 economic benefit. There was a public policy daylighting
23 deliberation. And that initial term sheet was
24 dramatically changed. And one of the key changes in
25 that original nonbinding term sheet was to insist,

1 insist and require without equivocation that no more
2 than 400,000 acre feet of controlled overdraft would be
3 allowed. So that nonbinding term sheet was ultimately
4 changed, again redistributed among the parties. And on
5 May 23 of 2006, it was agreed to as a good working
6 document.

7 Still, there were concerns that the number
8 400,000 was a big number, novel concept. And we had a
9 series of runs, model runs and analysis that had been
10 undertaken by Mark Wildermuth. But yet the feeling was
11 there needed to be some outside peer review. So the
12 Watermaster process voluntarily suggested that
13 Joe Scalmanini perform a peer review of the 2006
14 iteration. As a precondition to doing what? As a
15 precondition to us getting back to the bargaining table
16 and then converting that into a contract. Because all
17 we have is a nonbinding term sheet. And the parties
18 wanted to understand what the technical relationship was
19 and they wanted to know whether the earlier, then
20 earlier or now earlier iteration of the model was
21 effective. Was it a good tool to use for planning
22 purposes? So, through a process of exchange and give and
23 take, nine months effectively was used in peer reviewing
24 the earlier iteration of the Wildermuth model.

25 In March of 2007, Watermaster received a

1 communication which said, which offered many good
2 suggestions about how to improve further iterations,
3 further work, but largely said and quoted in our motion,
4 that for planning purposes, the model worked.

5 So on that, on the basis of the earlier
6 runs, the outside peer review, Watermaster then had some
7 other boxes to check before it was ever interested in
8 approving a legal set of binding agreements. It
9 retained the services of Dr. David Sunding to take a
10 look at macro socioeconomic impacts and then ultimately
11 further refined that down into micro socioeconomic
12 impacts. Those things were all required by the Board,
13 by the parties before they would agree to a binding set
14 of agreements. Watermaster didn't stand still.
15 Otherwise we'd be here now with no agreements having
16 waited for the completion of these other studies. So we
17 parallel path. We worked on agreements and did what
18 prudent lawyers would want.

19 And that -- and I can assure you, the ideas
20 that are represented in this Agreement are not my own.
21 They are the concept, the ideas, the words come from the
22 people in this room. We are the mere scribes for
23 these concepts, but these concepts were believed to
24 allow the enterprise, the analogy of launching the man
25 to the moon to occur. The broad suite of agreements,

1 the broad set of assurances -- actually beyond the
2 people in this room. We have discussed with bond
3 counsel about the bond ability of the language that we
4 included in the contracts. These words were heavily
5 negotiated, and they are now agreeable to all of the
6 parties to this process.

7 So we moved forward, articulated some rules,
8 agreements which were predominantly used for what? For
9 risk-sharing, for risk allocation. Because
10 Mark Wildermuth is a fabulous engineer, but
11 Mark Wildermuth does not take orders from Scott Slater
12 or any other lawyer, as near as I can tell, but
13 certainly not me. It was his duty to perform an
14 evaluation of what hydraulic control would look like;
15 and then secondly, in the context of the term sheet, A,
16 whether 400,000 acre feet would indeed be required to
17 answer the public policy questions expressed by our
18 board. Do we really need 400, the board said. Do we
19 really need 400 to secure hydraulic control? And
20 secondly, point two, would there be material physical
21 harm in pursuing this option?

22 So, while Wildermuth was out investigating
23 those questions, the lawyers and the principals drafted
24 a set of agreements which would accommodate whatever
25 result was spit out in the form of risk allocation, both

1 on costs and duties. If the report -- it is my
2 understanding, and I hope Your Honor will take it on
3 faith, that if the report had come back and said 300,000
4 acre feet is the absolute number for hydraulic control,
5 we would have had to go back to the drawing board and
6 redraft provisions of the agreement. We would have had
7 to have done that for the reason that from a public
8 policy standpoint, the stakeholders were not willing to
9 support dewatering at a significant level above what
10 would be required to ensure hydraulic control. They
11 wanted to know that the water they were using, because
12 of a generational concern, they wanted to be sure that
13 the water they were using was necessary. There was less
14 concern that we would need more. We didn't want to
15 spend any unless we wanted -- unless we could be
16 reasonably sure we needed to spend it.

17 And so within that context, Mr. Wildermuth
18 began presenting early returns and largely assuring the
19 stakeholders that indeed 400 would be required, and that
20 there would be no material physical harm. We concluded
21 the documents and waited for the outcome. We received
22 final report, draft, and then a final report which have,
23 unfortunately although well-done, created some confusion
24 related to some of the mechanics. And I am going to
25 come back to that in detail. But before I do that, I

1 thought that I would spend a minute or two talking about
2 the structure of the agreements.

3 Your Honor, we have never really had a
4 chance to go through why we organized the documents in
5 the way we did, and the interrelationship between the
6 parties and Watermaster and the Court. It is our
7 approach here, in the same way that we chose in 2000 to
8 approach the Court with a resolution which operates much
9 in the same way as an escrow agreement. Because of our
10 rigorous adherence to the notion of consensus and where
11 we can get, like today, unanimity, we want that. And
12 the concern has always been no issue left behind. If
13 the parties believe that the issue is material to
14 launching the enterprise, we have to solve that. If the
15 parties believe that it's a trailing issue that can be
16 resolved downstream, we approach it that way.

17 So, in the context of what we did, the
18 parties sat down and drafted what they thought all the
19 material pieces were to allow the enterprise to be
20 launched, and name them in the resolution, and said we
21 need to check this box, this box, this box, and so on.
22 So that was the operative document that was essentially
23 thought of early on. And then we had to wait for the
24 various pieces to come in. And so the pieces include an
25 amendment to the original Peace Agreement. So there

1 were provisions. There were issues that were part of
2 the launching exercise that the parties want addressed
3 in the original Peace Agreement. So we had to amend
4 that. And then there were new sets of issues that
5 needed to be addressed in the context of the expanded
6 desalting capacity. How did we distribute benefits and
7 and burdens from pursuing hydraulic control? Those
8 needed to be addressed with finality in a new agreement,
9 new subject matter. We didn't want to go back and redo
10 the whole Peace Agreement. We just trimmed it a bit,
11 tuned it up. And then we started with a new Agreement
12 which has a series of robust commitments among the
13 parties to allow the enterprise to move forward. Then
14 we supplemented the original OBMP implementation plan.
15 We came up with a project description for the purposes
16 of answering our board's concern about whether 400 was
17 enough, and whether there would be material physical
18 harm. So we generally described the actions.

19 So we have the Resolution, the two
20 Agreements, the Project Description, and the change to
21 the supplement -- or the Supplement which is a change to
22 the OBMP. So all of those documents came forward
23 together. And when once completed, they became part of
24 the Resolution, and ultimately led to the transmittal to
25 the Court. All of these documents have been vetted

1 through public. We, as Your Honor points, out there's
2 no opposition. We have three municipal water districts
3 with popularly-elected boards, several cities, special
4 districts. The Ag pool, the non-Ag pool and various
5 other parties who filed joinders and are in the process
6 now of trying to obtain the approval to execute the
7 documents subject to the Court's approval and whatever
8 conditions that the Court may recommend.

9 So, we are here in somewhat of a unique
10 position in the sense that we have obtained unanimity,
11 and are somewhat responding in a sort of an adversarial
12 process to the extent that we have to address the issues
13 and the referee's report. And I'm not trying to suggest
14 the referee is a party. It's kind of odd to be arguing
15 for something when there's no opposition. I can go to a
16 couple of specific issues. We would like to, I might
17 add, take up the referee with Your Honor's indulgence,
18 the opportunity to provide a full written response to
19 the report.

20 THE COURT: Before we go on, there's a bunch
21 of people came in late. Well, they came in after you
22 began talking. Let's put it that way. So, they want to
23 give us their names.

24 MR. MALONE: Andy Malone with Wildermuth
25 Environmental.

1 MR. BOWMAN: Jim Bowman, City of Ontario,
2 councilman, member of the Chino Basin Water Board.

3 MR. LOVE: Tom Love with Inland Empire
4 Utilities Agency.

5 MR. FIELD: Charlie Field, retired judge. I
6 am on the Board of Western Municipal Water District.

7 MR. ROSSI: John Rossi, general manager of
8 Western Municipal Water District.

9 MR. HANSEN: Rick Hansen, Three Valleys.

10 MS. NOVAK: Jennifer Novak, Deputy Attorney
11 General representing the State of California.

12 MR. ALIRE: Jose Alire.

13 MR. GUTIERREZ: Jim Guterrez, City attorney,
14 City of Chino.

15 MR. BUNN: Thomas Bunn, attorney on behalf of
16 the City of Pomona.

17 MS. HEDLUND: Stefanie Hedlund, attorney,
18 Cucamonga Valley Water District.

19 THE COURT: We may need some cards from
20 people to make sure that the court reporter has your
21 correct spelling too. At the conclusion of the day's
22 proceedings, you might want to drop a card off with the
23 court attendant.

24 It's kind of interesting, Mr. Slater, when
25 you started off, you stated that you were working for

1 your dad doing plumbing, and you dug a hole, and you
2 were contemplating as you were driving out here. I was
3 thinking the next thing he was going to tell me is what
4 kind of hole have I have dug myself into now.

5 MR. SLATER: I hope I am getting out, Your
6 Honor.

7 THE COURT: You definitely have that
8 opportunity. On adversaries, it's not a question
9 whether you do have an adversary, that you have the
10 California Constitution. You have the Judgment, the
11 plenary power of the Court over judgments. And so as a
12 background, I'm not necessarily in a position adverse to
13 that of your own. I want to make sure that we put up
14 the Constitution. We pull the Judgment up and see if
15 this will withstand the test of time too. I noticed
16 that, and speaking of that, I noticed that there have
17 been surprises. So, one of the things that I am going
18 to want you to address is if we extrapolate the demand
19 and the supply looks like the safe yield is going to go
20 down to between 120, 127,000 acre feet, and yet the
21 demand continues to go up. And you mentioned that it
22 was important to the parties involved that you would
23 never go beyond the 400,000 acre feet and you would only
24 use that which you required. Yet, I didn't see any
25 limitation on the amount of time that the overdraft

1 situation would continue. I didn't see that in the
2 paperwork. So you might want to address that. And one
3 of the things that I've been thinking about is -- you
4 weren't here. I think it might have been Mr. Lemieux at
5 that time. But early on, I think Mr. Cihigoyenetché may
6 remember. There was a footnote 1 or 2, that comment had
7 been made that we want to prevent a Tragedy of the
8 Commons situation.

9 Do you remember that, Mr. Cihigoyenetché?

10 I put Footnote 1 or 2 in there. And when
11 everybody starts getting in agreement, then my antenna
12 goes up. But there's -- let me give you a couple of
13 things as you go. Because you're going to go into, and
14 I have anticipated which way you'll go. You can see how
15 dog-eared Ms. Schneider's report here is. And I think
16 that is a good procedure to go, as a backdrop, to go
17 through the special referee's preliminary report. And I
18 emphasize "preliminary report". But with the thought
19 that the fundamental question that we have here today is
20 not as much consensus which I -- Mr. Cihigoyenetché will
21 remember; Mr. Guiterrez was here early on; a lot of you
22 were here early on -- I encouraged you to build
23 consensus in this matter. I thought that was the only
24 way to settle this. And I applaud your efforts. And I
25 actually remember that first hearing when you were here.

1 I had researched your background, as you'll recall. I
2 pulled out your bio when I think it was Mr. Markman or
3 somebody questioned you coming into to the case.

4 MR. SLATER: Uh-huh.

5 THE COURT: And my comment was looks pretty
6 good to me. You've done an excellent job. Doesn't mean
7 that you're capable of perfection every time or not that
8 you aren't this time. I just want to make sure that
9 what we do now, when people look back at it 80 years
10 from now and say they did what they were supposed to do
11 and they looked out in the best interest of the public.
12 So that's the fundamental question. Is it in the
13 public's best interest that we approve your motion or do
14 we tweak it?

15 And you're right. When we did a lot of the
16 preliminary things to today, the Optimum Basin
17 Management Program, for example, I did: I said let's go
18 forth. And so we are in a situation where a lot of
19 money and a lot of effort has been expended. So I
20 definitely don't want to say go back to square one and
21 start all over again. That's not my thought. I'm not
22 going to submarine things. But then again, I'm not
23 going to blithely go forth if I have certain concerns.

24 And one of the biggest concerns that I have
25 to begin with is in my own mind, I actually, I showed

1 this to Mr. Scalmanini -- is draw like you had your
2 economist Mr. Sunding and I had a demand line going up
3 one way and a supply line going the other, and then
4 intersected. How many years out there? I don't know.
5 Twenty, thirty. I don't know. But at some point, if
6 the demand keeps going up and the safe yield is going to
7 decrease, then we might have a problem. I'm concerned
8 about that. I will be interested.

9 MR. SLATER: I'm prepared to address that,
10 Your Honor.

11 THE COURT: Okay. Also you have a situation,
12 if we historically go back to 1978 -- and I wasn't here
13 in 1978.

14 MR. SLATER: I was around the corner, Your
15 Honor. I had the shovel.

16 THE COURT: That's when you were in the
17 trench anticipating today. But we had a certain safe
18 yield and we had a judgment. Howard Weiner, then later
19 Justice Weiner, signing off on that agreement. You had
20 a certain safe yield. And all of a sudden, it was quite
21 frankly, it was a surprise to me that the safe yield is
22 going down rather than up. As we all know, the
23 population in this area has exploded since 1978. So
24 again, you can address that.

25 I already mentioned where I think incumbent

1 in this process is some assurance that once hydraulic
2 control is obtained, that the mining in the Basin beyond
3 that would stop.

4 Let me go back to some of the other concerns
5 I had. Did you really model? You started off your
6 argument that you applied the model that Mr. Scalmanini
7 as amended as a result of -- Well, Mr. Wildermuth as
8 amended by Mr. Scalmanini's comment, they come up with a
9 model, and you applied that. Did you really apply that
10 new model to what you intend to do now? And it seems --
11 I haven't had a whole lot of time to read the special
12 referee's report either.

13 MR. SLATER: Right.

14 THE COURT: But it seems that may not have
15 been the case. And there's some suggestion that the
16 262,815 acre feet is only really 72,000 acre feet. So I
17 don't know about that. I want some further explanation
18 there.

19 And you have a Judgment Amendment. And so
20 it's not just a simple question of if the advisory
21 committee is in agreement and the Watermaster is in
22 agreement, then what's the problem, Judge. If this
23 involves amending a Judgment, then the Court always has
24 plenary power over Judgments, as I started out and also
25 the Constitution, as I mentioned before.

1 The concern is that this will all be done by
2 the end of the year. And let me attempt to allay your
3 fears on that. I'm willing to extend any deadlines
4 should we not arrive at complete satisfaction as to
5 enough information to either grant or deny the motion.
6 But I am wondering is there any other reason other than
7 the deadline that's added such an air of urgency to the
8 current motion?

9 MR. SLATER: Your Honor, you've listed I
10 think five items. And I think we can respond to a
11 couple in argument and a couple through testimony, but
12 including the last one.

13 THE COURT: There's a number of different
14 pages that caught my attention, you can see them
15 dog-eared here as I am reading through.

16 MR. SLATER: You should see mine, Your
17 Honor.

18 THE COURT: Okay. So maybe as a backdrop,
19 that might be a good place to start, is go through the
20 report. And that way everybody can be, not page and
21 line, but at least have some outline of what's going to
22 happen.

23 MR. SLATER: Your Honor, if I might, I think
24 that I would like to approach two related issues that
25 will respond to our, two of the five on your list. Take

1 those as examples, and then suggest that there are a lot
2 of people out here who probably had 24, 48 hours maybe
3 to review the referee's recommendations. But that we be
4 given seven days. And I know I am taking this out of
5 order. But if we were allowed seven days, I think we
6 could capably respond in writing to the referee's report
7 with whatever supplemental declarations or
8 authentication that the Court might require. And our
9 hope was for the reasons that you'll hear, that we can
10 get a soon or an expedited approval, and we can begin
11 subject to a leash, a leash and a collar, or a couple of
12 leashes if you will. And we believe we have introduced
13 those mechanisms into the documents as was one of the
14 things I want to do is show you where they are and how
15 you can pull us back if we're not making progress.

16 And to the extent that the Court wants and
17 desires information, I think I am going to show you
18 where it's coming to you already. And if you want more,
19 the place where you can ask for more.

20 THE COURT: One of your greatest allies,
21 Mr. Scalmanini, whether you believe it or not, he has
22 great respect for Mr. Wildermuth. And I'm going to lose
23 him for a period of time here in another week. So,
24 that's a concern for me. Because I do rely on
25 Mr. Scalmanini's expertise, that --

1 MR. SLATER: Understood, Your Honor. I
2 think I would say that that could support the theory of
3 the leash. And that is that to the extent that there
4 were further deliverables, that we would have approvals
5 and be required to come back and show the Court to its
6 satisfaction that we had provided, whether supplemental
7 information the Court would like to see rather than wait
8 for the approvals.

9 THE COURT: Well, let's proceed and let's
10 see where we get.

11 MR. SLATER: Okay.

12 THE COURT: We've got a lot to cover. And
13 so, I can tell you right now too that tomorrow I'm
14 unavailable if we don't finish today. I'm going to have
15 a 64-slice CT scan tomorrow so, of my heart. So I will
16 be preoccupied tomorrow. So, let's see what we can get
17 done today.

18 MR. SLATER: Okay. Your Honor, I'm sorry to
19 hear that. I wish you the best.

20 THE COURT: Thank you.

21 MR. SLATER: Prayers will be with you.

22 I think what I'd like to do is to summarize,
23 and I will call the Court and the parties' attention to
24 Page 12 of the Technical Report where the special
25 referee notes that: The Proposed Amendment to the

1 Judgment Exhibit I is not supported by the Technical
2 Report.

3 THE COURT: I had that on Page 11 of mine.
4 I had it earmarked.

5 MR. SLATER: It was Page 11.

6 THE COURT: I found it very easily. Yeah, I
7 printed mine out on the computer, so maybe it's
8 different than the formal one that was filed.

9 MR. SLATER: So, the Court's obviously read
10 it. The language reads: The proposed amendment to the
11 Judgment Exhibit I is not supported by the Technical
12 Report. The Technical Report states that 198 to 212
13 acre feet more than the additional 400,000 acre feet
14 will be the actual cumulative overdraft by 2030.

15 THE COURT: Your pagination is different
16 than ours. I've got the official one, Page 11, and the
17 one you printed out, Page 11 also.

18 MR. SLATER: Okay. You were correct. It is
19 Arabic 3, Line 8 on Page 11 which is the beginning of
20 the section.

21 THE COURT: Okay.

22 MR. SLATER: Well with my glasses, I can
23 probably do that.

24 THE COURT: Okay.

25 MR. SLATER: Okay. I want to start with what

1 is the project description. And the project description
2 is actually an attachment. It's clear it was attachment
3 A to our motion. And I want to call the Court's
4 attention to the second sentence in the ultimate
5 paragraph which reads: The two items of interest to
6 this project description are: The expansion of the
7 desalter program and basin Re-operation. So, that is
8 what we were up to.

9 Next page, 4.

10 You need to know what Re-operation means;
11 right? So, it is defined in the agreement itself which
12 is slightly more polished than what was in the project
13 description. And there's the basically the first
14 reference to the limitation of what the quantity was.
15 So Re-operation means the increase in controlled
16 overdraft as defined in the Judgment from 200,000 acre
17 feet to 600,000 acre feet. So basically we are talking
18 about a new net, 400. And that definition, although
19 again was polished and is contained throughout the
20 agreement. So that's a pretty consistent definition of
21 what the parties intended. Nowhere in any documentation
22 whatsoever is there any suggestion that we can go 1 acre
23 foot above 400. It's an absolute foundation.

24 If you'll also look down a little bit to the
25 next paragraph down which says: The proposed project

1 has two main features, the expansion of the desalter
2 program such as the ground water pumping for the
3 desalters will reach about 40,000 acre feet, and that
4 pumping will occur in amounts and at locations that
5 contribute to the achievement of hydraulic control and
6 the strategic reduction of ground water storage,
7 Re-operation. That, there's that term again, that along
8 with the expanded desalter program significantly
9 achieves hydraulic control.

10 So that's what the program is, Your Honor,
11 or the project. That's what Mr. Wildermuth was asked to
12 look at. Right. The issue arises because the proposed
13 Exhibit I, Attachment J, Exhibit I. Again this is the
14 Proposed Judgment Amendment which places limitations on
15 what might be done with regard to the Re-operation.
16 There are, there are conditions and requirements that
17 relate to hydraulic controls, the quantity is defined on
18 the earlier page. It describes where it's going to
19 happen, the apportionment, that it's going to be
20 dedicated to the desalters. And in no where in this
21 document is there any suggestion that any party can take
22 more than 400.

23 So, the question arises, well, how did
24 Wildermuth get to a number greater than 400 when running
25 his analysis. And what may not have been apparent to

1 the referee is that the initial schedule that Wildermuth
2 used was not controlled by the -- sorry. It was not
3 required by the Judgment Amendment. The initial
4 schedule was a concept that actually comes initially
5 from the Peace Agreement itself.

6 And if you can go to, Michael, 7.2.

7 And while Michael is finding that, I am
8 going to explain to Your Honor a little bit about the
9 initial schedule and the Board's rationale and the
10 public policy rationale in doing what we did. Remember,
11 we were negotiating these agreements and trying to put
12 these agreements in place with the expectation that
13 there needs to be further things happening down road.
14 We are not going to have all of the pieces together when
15 we come to Your Honor. And if we did, we'd never get
16 done. There are certain things that the parties want to
17 do in order to launch the transaction, and certain
18 things they want to accomplish down stream.

19 Well, the Board's interest remember was we
20 didn't want to spend more than 400,000 acre feet to
21 achieve hydraulic control if we didn't have to. We
22 didn't want to spend anymore effectively than was
23 required. So there was a -- they didn't want to spend
24 any more of the 400 than was absolutely necessary. So
25 they put handcuffs on the overall cap, but then

1 recognized that we had this massive little undertaking
2 called the Western, or the Desalter Three. And there
3 was a public policy decision that was made by the Board
4 that the capital costs associated with the project were
5 going to be significant. The ranges have been estimated
6 depending on configuration, location anywhere between
7 400 or 40- and \$100 million. It's a lot of money. And
8 there was a public policy intervention, if you will, to
9 say that the wells for those facilities had to be
10 located in a specific place in order to not only desalt
11 the Basin, but help achieve hydraulic control. So the
12 Board wanted to create a linkage to that 400,000 acre
13 feet of controlled overdraft and make sure that it was
14 spent for the proper purpose. So there was a linkage
15 drawn on geography, related to where the wells were
16 located to properly secure hydraulic control, and there
17 were rules that were established that would allow a
18 first priority, if you will, for that controlled
19 overdraft to be dedicated to the party who was strong
20 enough to step up and assume the capital burden and
21 responsibility for constructing the desalters. And that
22 party thus far is the Western Municipal Water District
23 who's prepared to go. They have already secured state
24 funding, \$5 million as referenced in John Rossi, their
25 general manager's declaration. There's a matching

1 obligation on that. But it's got to be spent this year.
2 So, they are prepared to go. But the Board says there's
3 a lot of variability still left in the negotiations. We
4 want to hold your feet to the fire to make sure you
5 locate the wells in the proper location so that we
6 achieve our objectives. So that 400, how it's used is
7 subject to a further negotiation, subject to a further
8 negotiation as the details of that project become known.
9 Negotiation between who? The other members of the
10 appropriative pool who by the way have some
11 responsibility. I know there's a bunch of people going
12 to jump over the railing here and strangle me because I
13 am not going to go to whose obligation it is. I am just
14 going to say that there is an obligation for
15 replenishment associated with those desalters that is
16 maybe contestable before the Peace Two arrangements.
17 And this Agreement resolves that. But the parties
18 recognized that there would need to be a negotiation
19 over the use of that 400. And the agreement calls for
20 the preparation today so the Court could see what was
21 called an initial schedule, and that it would be filed
22 with the Resolution.

23 And indeed we did that. Now I goofed. Tell
24 you right now, I didn't catch in the final transmittal
25 to the Court that we had an earlier iteration of the

1 initial schedule. So the Court got two. The rapid
2 depletion is the appropriate schedule. The other can be
3 discarded. It has no relevance. And I was instructed
4 to file the proper document. And I just missed it. In
5 the 6,000 pages you got, I missed one, so I apologize to
6 the Court.

7 So the initial schedule was all that
8 Mr. Wildermuth had to work from for purposes of trying
9 to model impacts. Because he cannot make an assumption
10 about how that negotiation is going to conclude. So he
11 took what was considered to be the rapid depletion which
12 reserved to Western, assuming -- or Western and Ontario
13 and Jurupa. I am sorry. To the extent that they get to
14 an agreement, it would be Western, Ontario and Jurupa as
15 opposed to just Western. It would reserve to them this
16 priority right to the controlled overdraft. So
17 Wildermuth took the rapid depletion schedule which was
18 the best guess we have today on what that apportionment
19 might look like. But the parties have a year to resolve
20 that. They have a year to sit down and figure out how
21 to spend that water.

22 And if you can look down at E, this is in
23 the Peace II Agreement: We were told to file the
24 initial schedule. So what Mr. Wildermuth did is
25 basically use the initial schedule and assumed it. And

1 then ran runs off the initial schedule and the other
2 schedule which I inappropriately sent along to the
3 Court.

4 But you'll also note Paragraph E which was
5 an incorrect statement in the referee's report that
6 there is no agreement as to how to handle the schedule
7 other than the initial schedule. That's not true.
8 There is. Paragraph E provides Watermaster with the
9 discretion to, having heard the arguments from the
10 negotiating parties, to balance their arguments, and
11 then ultimately make a recommendation.

12 But then guess what they have to do? Look at
13 E 2: The E 2 requires us to come back and ask the Court
14 for every revision to the schedule. And guess what else
15 we have to do? We have to support it by a technical
16 report which demonstrates our continued need to access,
17 and subject to the limitations in Exhibit I, which means
18 every time we wish to file a change to the schedule --
19 and the Court will get one in '08 -- we have to come in
20 with a technical justification for the change in the
21 schedule.

22 Now the assumption that is made by those who
23 read the Wildermuth report is that somehow the initial
24 schedule converted the project into something else. It
25 couldn't. There is a Judgment Amendment which says no

1 more than 400. The Peace Agreement itself says no more
2 than 400. The supplement to the OBMP implementation
3 plan says no more than 400. And the initial schedule
4 cannot violate that provision.

5 So when the agreements were executed, no one
6 had any idea that the initial schedule would bump up to
7 the cap. But now that it has, under the runs, the
8 initial schedule obviously cannot be followed. But we
9 met our requirements to the Court and to the parties to
10 present an initial schedule. But it is an iterative
11 document which may be changed and modified as better
12 information is made available.

13 I think I said this so many times over the
14 last couple of weeks. But I find it to be so true.
15 Trend is not destiny, Your Honor. The model is a
16 predictive tool. It predicts what the world will look
17 like based upon assumptions if nothing changes. It is a
18 planning tool. It is not reality. It may become a
19 reality. But Watermaster wishes to make decisions in
20 advance using the best planning tools that it can, as
21 that course correct based upon real factual data.

22 THE COURT: Let me interrupt.

23 MR. SLATER: Yeah.

24 THE COURT: When you're doing all this
25 planning, are you thinking in terms of recharge also?

1 MR. SLATER: Yes.

2 THE COURT: Because it seems to me that it
3 might be a little bit light on recharge planning. So,
4 what do you have to say about that?

5 MR. SLATER: It's my next item.

6 THE COURT: Okay.

7 MR. SLATER: Okay. I would say I'll just
8 move to it. I have more on that, Your Honor. But I'll
9 hit it in the brief.

10 THE COURT: Okay.

11 MR. SLATER: In light of the hour.

12 With regard to the issue of recharge, well
13 maybe I'll hit this. I do need to hit this before I
14 move to the special referee's report suggesting that new
15 yield has been significantly understated and there was,
16 there's a shortfall, and what do we do about it.

17 Well there is a shortfall. We measure what
18 it is. We can't take more than the 400. And we better
19 manage our affairs a little bit better in the future,
20 try to modify what we do to increase the new yield. But
21 it doesn't create a shortfall. There is no such thing.
22 There's a zero sum. There's only 400. There is no
23 more. So it is whatever we get out of new yield, we
24 get. But if we don't achieve new yield, what's the next
25 thing in line? Our bank account, our 400. So whatever

1 we don't achieve in the form of enough yield, it doesn't
2 go missing. It's not a shortfall. These people suffer.
3 If the new yield doesn't show up, they have to hit the
4 bank account. Or if there's no water in the bank
5 account, what do they have to do? Replenish.

6 So the fact that the initial schedule or
7 subsequent iterations do not ultimately match what shows
8 up, the bank account is called, until there's nothing
9 left in the bank; and at which point if there's nothing
10 left in the bank, we either have to come back to Your
11 Honor, or your son or daughter, and make the argument
12 that we should be able to go further. But we have no
13 basis or evidence to suggest that we are going to be
14 required to do that. And more importantly, there is no
15 public policy. Sorry. There is no will on the part of
16 our stakeholders to do that. They want, with all due
17 respect to the model, they want facts. They want real
18 operation, and then we'll come back and look.

19 THE COURT: Well doesn't Mr. Wildermuth's
20 model have to flatten out for that to be the case, and
21 wouldn't it be better to plan now for recharge? That's,
22 looks like it 's going to be necessary in the future.
23 Maybe it's 2029 or whenever. But it looks like it's
24 out there, looming large. And land is cheaper now than
25 it's going to be in the future, plus they are building

1 houses on all the vacant land -- well,
2 overexaggeration -- on much of the vacant land. And so
3 planning would be enhanced by preparing at the present
4 time as opposed to later reacting.

5 MR. SLATER: You are so correct, Your Honor.
6 And so let me see if I can explain how the parties have
7 properly balanced that issue. I think from a structural
8 standpoint, what the parties did was -- can we? Do we
9 have enough in the way of assurances to launch the
10 transaction and can we handle, can we handle the issue
11 of recharge as a downstream event? That's one of the
12 leashes. And so the whole structure of the proposal is
13 baby, this is a big elephant. And you don't eat the
14 elephant all at once. And we've got enough here. The
15 point is we got enough and we are going to get, after we
16 all take a big break and everybody relaxes for about
17 three or four days, then the next thing that we have to
18 pick up is the issue of recharge and how to get at the
19 fundamental issues that Your Honor is raising in the
20 contexts that have been raised in the Wildermuth report
21 with regard to the yield itself and the independent
22 apparent trend or decline projected in safe yield. But
23 by the way, which has some relationship to the program
24 that the parties are presently seeking approval on. It
25 is the base case that is actually the worst with regard

1 to the future of recharge.

2 But, Your Honor raises a great point with
3 regard to the commitments towards recharge. So, I think
4 what I'd like to do is to start with the Peace
5 Agreement, Article 8, Section 8.1.

6 Even before we get to the Peace II
7 Agreement, Your Honor, we did have an agreement in 2000.
8 And there is an implementation plan. And there's an
9 expectation that Watermaster would update its recharge
10 master plan every five years. 2010 is not that far
11 away. Really isn't, when you consider how long, right,
12 Your Honor gave us? We started in 2004. That's why
13 2010 is really right upon us.

14 But if that weren't enough, what we tried to
15 do with regard to a commitment is to further buttress
16 our mandatory duty. It's not a may. This is a mandate.
17 Right.

18 Section 8.1 says update to the Re-charge
19 Master Plan. Watermaster will, will update and obtain
20 court approval. We will update and obtain court
21 approval of its Recharge Master Plan to address how the
22 Basin will be contemporaneously managed to secure and
23 maintain hydraulic control and subsequently operate at a
24 new equilibrium at the conclusion of period of
25 Re-operation.

1 THE COURT: Let me stop you right there.

2 MR. SLATER: Yes.

3 THE COURT: If you were drafting a contract
4 and we were going to be holding the other side
5 accountable and you wanted some teeth into the contract,
6 would you use that same phraseology?

7 MR. SLATER: Perhaps I'm missing the
8 question, Your Honor. It's a mandatory obligation.

9 THE COURT: It's a trust me, what I call a
10 trust me phrase. Trust me. I am going to do right by
11 this. But as far as --

12 MR. SLATER: Well, Your Honor, I mean there
13 is, obviously there is a question of judgment. But we
14 have to do something if there is a mandatory duty. And
15 I did see a comment about what new equilibrium meant. I
16 looked it up in the dictionary. I heard what Wildermuth
17 thought it meant. And Webster's Dictionary says state
18 of balance. And I tried to check the Todd Textbook.
19 Has been probably since '80 since I read it in college.
20 But I think the theory there of new equilibrium is the
21 common meaning, the plain meaning and clear meaning, and
22 meaning state of balance. So if we are moving from a
23 scenario of overdraft, we are returning to a scenario of
24 safe yield or state of balance.

25 THE COURT: Or redefining what safe yield

1 and what is the permissible overdraft allowed under the
2 Judgment.

3 MR. SLATER: Well, there is no permissible
4 overdraft if we take the 400, Your Honor.

5 THE COURT: But you're going to seek Court
6 approval and update things, what's to prevent you from
7 later on saying oh, by the way, we need to go back and
8 redefine what safe yield is. We need to redefine what
9 overdraft is. The Court had given us 400,000 additional
10 acre feet. Add that to the 200,000 acre feet we had
11 before, turns out the 600,000 acre feet. By the way, we
12 need 792,00 acre feet. What's to prevent --

13 MR. SLATER: Two things, Your Honor. First
14 of all, you; and secondly, Judgment Amendment; and
15 three, the Agreement from all the parties who have
16 agreed to this language.

17 So if we can, under the hypothetical that
18 everybody in the Inland Empire comes to an agreement,
19 wants to propose a technical basis for revisiting the
20 issue, and comes to you for another Judgment Amendment,
21 I assume that's not precluded. But I can assure you
22 that the present direction of my client is no. That
23 doesn't mean that there isn't a continuing obligation
24 under the Judgment to revisit safe yield. Safe annual
25 yield may need to be revisited. And if the trends

1 predicted in the Wildermuth Report become reality, there
2 will be difficult issues.

3 Now that is probably the greatest incentive
4 to cause people to go about their business and try to
5 find a way to do things differently and enhance
6 recharge. The parties have every incentive to try to
7 find ways to stretch their water supply and make it more
8 reliable. Indeed all of the investments they have made
9 in desalting, in recycled water are at the almost
10 leading edge of improvements. I know Your Honor will be
11 hearing more about max benefit and the efforts to try to
12 stretch resources further and put recycled water to use.
13 Under the new regional board permits, you know that's an
14 express effort to try to make substantial investments
15 and stretch the resources further.

16 The second item here, Your Honor, was to
17 anticipate that this would need to be a collaborative
18 effort between IUA and Watermaster. Now remember, this
19 is not a contract that Watermaster signs. We're going
20 to take an order from you, hopefully, to tell us to
21 proceed in accordance with this. Our pledge is to try
22 to work with IUA, and iron out the details of recharge
23 projections, water supply availability, and then move
24 forward on a consensus basis to give the detail that you
25 want.

1 Now again, we have a scheduled update in
2 2010. And there is detail required here. It says
3 specifically, the plan will reflect an appropriate
4 schedule for A, planning; B, design and physical
5 improvements that may be required to provide reasonable
6 assurance and so on. And if at any party at any time
7 feels that we're sleeping at the switch, I'm sure we'll
8 see you. And we will do our very best to make sure that
9 we carry this forward.

10 But what also is interesting here, Your
11 Honor, is as a byproduct of macro and micro
12 socioeconomic work that was undertaken by Dr. Sunding.
13 Many of the parties got together, said we want to
14 revisit some of the basic economic assumptions that were
15 going forward. And an outgrowth of that was how are we
16 going to pay for this activity; right?

17 THE COURT: Well, according to Sunding, it
18 is \$902 million benefit to the area.

19 MR. SLATER: Which the people of the Inland
20 Empire should be pretty thankful; right? So, but that
21 benefit comes with a cost. And not the, not all the
22 costs were contained in the Sunding analysis because
23 Sunding was only looking at a piece, a fraction of the
24 total cost that went into the big picture.

25 But the parties began talking about that.

1 And sections 8.1 A and B, reflect a cost allocation
2 methodology for how this new recharge activity is to be
3 paid for. Having addressed that issue, we put that in
4 the books. And I for one having spent several years
5 with this stakeholder group has found that money is
6 important. Money matters. So, we addressed the money,
7 and we feel good about that. Okay.

8 The referee also reports, and there were
9 other provisions related to recharge. But I think
10 that's the meat, Your Honor. But at the same time, you
11 know, there's this old Dr. Suess book that I read to my
12 daughter. And I can't remember the name of it. But
13 it's about the watcher is watching the watchers. And
14 our group here has this interesting phenomena where we
15 like belts, we like suspenders, and then we also include
16 a parachute. Right. So we make sure that regardless of
17 the condition, that we doubly and sometimes triply
18 covered it.

19 And the question was okay, we are off to, on
20 this recharge, and this recharge is important. And from
21 a policy standpoint, there was a concern that we link --
22 going back to the 400. And I am going to link this to
23 the subject of the availability of recharge and a
24 hammer, not just a leash, but a hammer that this Court
25 has. So if we have that mandatory duty and somehow we

1 are not behaving properly, what's the hammer? Well, the
2 hammer goes something like this:

3 We have this Judgment Amendment; right?
4 Michael, can you put up the Judgment Amendment again.
5 Okay. So I got to play with -- I will start with, I got
6 to play with bond counsel a little bit.

7 Pull up Item 6, because we did this back in
8 2000, and now I had a refresher -- in 2000, or 2000, I
9 got a refresher in the summer of this year. And the
10 issue really is okay, from the policy of the
11 stakeholders, remember we don't want to spend more water
12 out of the 400 than we actually absolutely have to use.
13 Hence the Wildermuth Report goes out. Let's
14 investigate, find out whether we really need the 400.
15 Right?

16 Well, the referee is focused on 2B6 with
17 regard to the linkage between the subject of recharge
18 and remedy. At one point, she asked whether the
19 critical question is effectively what's the remedy to
20 enforce the recharge obligation, which is the right
21 question. But this is an incomplete, if we are focusing
22 on 6, that's an incomplete response. And the reason is
23 6, was largely drafted for the benefit of the people
24 over at Western who wanted this following assurance.
25 Okay. We're going to launch the enterprise. Yeah we

1 are going to have a negotiation over here about how we
2 spend the 400,000. We're going to get that schedule,
3 away we go.

4 But what happens if we get hydraulic control
5 at 325 or 327, and guess what? I floated \$100 million
6 in bonds. Are you going to stop? They said no way.
7 Can't live with it. Right. So, through the compromise
8 process, Section 6 is drafted to do two things: It
9 provides assurance. It has the hard cap of 400. And it
10 also says hey, if we get in before 400, no worry. We
11 keep going so long as two conditions are met. So we get
12 there at 325. Wildermuth comes in and says you know
13 what, the model, the 17th iteration of the super
14 duper --

15 THE COURT: It's going to be Wildermuth's
16 son or daughter.

17 MR. SLATER: Son or daughter. It's going to
18 be the daughter of Wildermuth is going to Notre Dame
19 next year. Away we go. We have reached our objective.
20 Western, you're cut off. No. So long as you're doing
21 two things, we are in compliance with the recharge
22 master plan, and two, so long as we have got a
23 contingency plan in place to cover the future
24 eventuality of a whoops, there will be no suspension.
25 And that language, the bond counsel will live with.

1 Okay. That's what that, that's what that paragraph
2 does. That is not the hammer.

3 Look up at Item 4. Now we, I am, as
4 everybody here knows, it's a laughable matter. I am
5 very-well managed in this process and we get a lot of
6 input on language and how things should be articulated.
7 And there was the view expressed that we ought not to
8 clutter the Judgment Amendment up with a lot of detail
9 that was more properly in rules and regulations. So the
10 first concept was let's create a book, but don't put it
11 in the Judgment Amendment. Make it, it's not context,
12 not text but near next. It's a deliverable. It's
13 something that is coming to you. Right? So like we did
14 the last time, we did a Peace Agreement; right? And then
15 we came back with rules and regulations.

16 Item 4 says we are going to develop rules
17 and regulations. But this is not, that is not in the
18 Judgment; right?

19 But this is not a "trust me", Your Honor.
20 Because you're going to find it also in two other
21 places. Okay.

22 Can we pull up 7, I think it's 7.2, the
23 supplement to the OBP. Okay.

24 THE COURT: At 3:00, we will take a break.

25 MR. SLATER: Hopefully, I'll be done by

1 then. Start on Page 6, Your Honor, and then flops over
2 to Page 7, hoping my pagination is correct. If Your
3 Honor wants to know what would be the new rules and
4 regulations, again these guys aren't going to let us
5 just figure it out later. They are going to want some
6 criteria what's going to be in those rules and
7 regulations. So if you look at the last sentence on
8 Page 6, it's going through hydraulic control -- sorry --
9 Re-operation. And then the last bit, it says however,
10 however, the use of -- and then the next page. Okay.
11 This is in the supplement. And this would be our guide
12 for our rules and regulations:

13 Water pump pursuant to Re-operation is
14 subject to the following limitations. Here we go. And
15 these were important items to the board and the process
16 and the stakeholders for leverage purposes, and the
17 discussions with the appropriators and Western to make
18 sure that the public interest was protected.

19 So A, southerly end of the basin. That's
20 where the well has got to be. The material physical
21 injury requirement. And there is that schedule again;
22 right? Okay. We have got to have a schedule, and
23 requires Court approval. That was the initial schedule
24 which led to this misunderstanding about our authorizing
25 more than 400. Not going to happen.

1 D, annual accounting. We've got to tell you
2 exactly what we are doing.

3 And then E, Watermaster must be in
4 substantial compliance with its then existing recharge
5 and replenishment plans and obligation and will make an
6 annual finding whether or not it is in compliance.

7 So that's in the supplement to the OBMP.
8 And then if you'll take a look at 8.3 of the Peace
9 Agreement. So now it's the belt; right? We already
10 have -- maybe that's the parachute. I don't know. We
11 have done the original obligation and the Judgment.
12 Then we have that, and then we have what's called the
13 continuing covenant 8.3. And 8.3 says that this is
14 independent vitality -- this binds all the parties to
15 ameliorate any long-term risk attributable to reliance
16 upon --

17 THE COURT REPORTER: I'm sorry, counsel.
18 You're going way too fast.

19 MR. SLATER: I'm sorry -- to ameliorate any
20 long term risk attributable to reliance upon
21 unreplenished ground water production by the desalters,
22 the annual -- that's yearly -- the annual availability
23 of any, any portion of the 400,000 acre feet set aside
24 as controlled overdraft as a component of the physical
25 solution is expressly subject to Watermaster making an

1 annual finding about whether it is in substantial
2 compliance with revisited Watermaster recharge master
3 plans.

4 So we have to make an annual finding. The
5 referee might say well, it's the Watermaster finding.
6 But Your Honor, everything we do, if we are making a
7 finding, any party at any time has the right to bring
8 that matter before the Court on the basis that we didn't
9 do the correct thing. And moreover, remember that Your
10 Honor, the Court, is approving the original master plan.
11 We are coming to you with the original plan and we are
12 reporting; right? We are reporting on our initial
13 schedule. So every time we are redoing that, we are
14 telling you what we are doing. We are telling you how
15 things are going, and we are looking at our own recharge
16 master plan. And every year, we make a finding. And if
17 we can't make the finding, we can't have access to the
18 400. Anybody doesn't like it, we are back here.

19 So that, in our view, is you have the
20 Judgment Amendment saying there needs to be rules and
21 regulations. So that's text and near text. Then we
22 have the supplement to the OBMP placing the conditions
23 on the water and the express limitations.

24 And then lastly we have this. You can't
25 have the 400 if you don't stay in compliance. So, in

1 summary, on the front end, we have a mandatory
2 commitment to do the recharge master plan. Then that is
3 buttressed by a penalty of depriving us of the 400 if we
4 don't stay in your good graces.

5 And I will say this. You know, Your Honor
6 has expressed the concern related to the declining yield
7 in the Basin. Reading the Wildermuth report with regard
8 to those downward trends and predictions is alarming.
9 The parties have to be willing to move forward, expend
10 every effort to stop that from happening, and to make
11 the appropriate, timely investments in recharge and
12 other supply-reliable measures to offset that. But it's
13 difficult to hold us accountable today having worked on
14 a process for four years to pursue something which has
15 been, is consistent with Your Honor's earlier direction,
16 and then say stop while we wait to solve that problem.
17 We already have responsibility to solve that problem.
18 It would be irresponsible if we don't. We have to be
19 back to you in any event by 2010 with regard to our
20 recharge master plan and we look forward to the
21 opportunity to solve this problem as well.

22 I think the view of the parties frankly is
23 we have done a lot, we are ready to take up that next
24 challenge, but we'd like to check this box and move to
25 the next phase. So, I had more, but I'll hold because

1 we are almost at 3:00, and we do have a couple of
2 witnesses. And I will reserve maybe a few minutes at
3 the end to close.

4 THE COURT: Okay. We will be in recess
5 until 9 minutes after 3 then, and we will resume at that
6 time.

7 (Recess.)

8 THE COURT: Okay. In the interest of time,
9 unless anybody objects, I am going to assume that
10 everybody that was here before is still here. And
11 anybody opposed to that procedure? If not, hearing no
12 objection, let us proceed.

13 MR. FIFE: Your Honor, we are going to
14 proceed with the examination of our witnesses. We have
15 two witnesses. We are going to start out with
16 Mr. Manning and then go to Mr. Wildermuth. How would
17 you like -- would you like me to address the witness
18 from counsel table?

19 THE COURT: That's fine. Everybody is a
20 gentleman in here. I've had no problem with you guys.
21 You have license to do that, whatever you feel is
22 appropriate.

23 THE WITNESS: Sit up here, Judge?

24 THE COURT: Sure. Come on up.

25 MR. FIFE: In the interest of time, since it

1 is getting late in the day, the referee's report did
2 indicate that it was the hope that Watermaster would
3 address some of the questions that are raised in her
4 report today. Both Mr. Manning and Mr. Wildermuth are
5 going to do that. The technical issues are very meaty.
6 We anticipate Mr. Wildermuth may need quite a bit of
7 time for his testimony so we are going to move through
8 Mr. Manning's testimony very quickly. But the intention
9 again is to address some of the major issues that were
10 raised in the referee's report.

11 THE COURT: Okay. Can you swear him in?

12 THE CLERK: Yes, I can.

13 **KENNETH MANNING,**

14 Having been called as a witness and having been duly
15 sworn, was examined and testified as follows:

16 THE CLERK: You do solemnly state that the
17 evidence you shall give in the matter now pending before
18 this court shall be the truth, the whole truth, and
19 nothing but the truth, so help you God.

20 THE WITNESS: Yes, I will.

21 THE CLERK: Please be seated. State your
22 name.

23 THE WITNESS: My name is Kenneth R. Manning.

24 THE CLERK: And spell the last name, please.

25 THE WITNESS: M-A-N-N-I-N-G.

1 THE CLERK: Thank you.

2 DIRECT EXAMINATION

3 BY MR. FIFE:

4 Q. Mr. Manning, what is your position with
5 Watermaster?

6 A. Chief executive officer.

7 Q. How long have you held that position?

8 A. Since September 2004.

9 Q. Did you participate in the negotiation of the
10 Peace II Measures?

11 A. Yes, since September of 2004.

12 Q. And do the Watermaster's technical consultant and
13 legal counsel work under your direction?

14 A. Yes, they do.

15 Q. Were you present at the September meetings where
16 Resolution 0705 was approved by Watermaster?

17 A. Yes, I was.

18 Q. And did all three pools recommend approval of
19 Resolution 0705 to the advisory committee and board?

20 A. Yes, they did.

21 Q. And did the advisory committee recommend board
22 approval of Resolution 0705?

23 A. Yes, they did.

24 Q. And what was the vote at advisory committee?

25 A. One party voted no.

1 Q. And who was that party?

2 A. That party was Monte Vista.

3 Q. And are you aware of whether Monte Vista has now
4 filed a joinder supporting Watermaster's motion?

5 A. Yes, they have.

6 Q. Did the board approve resolution 0705?

7 A. Yes, they did.

8 Q. What was the vote by the board?

9 A. Eight yes, one no.

10 Q. Who was that no vote?

11 A. The no vote was the representative from the Monte
12 Vista Water Company.

13 Q. And again they've filed a joinder to
14 Watermaster's motion?

15 A. Yes, they have.

16 Q. As Watermaster's CEO, how do you view
17 Watermaster's role with regard to management of Chino
18 Basin?

19 A. Well firstly, from a broad perspective,
20 Watermaster is the arm of the Court and oversees the
21 Judgment and the implementation of the Optimum Basin
22 Management Program, and in doing so, acts as a neutral
23 party to work with all of the agencies within the Basin
24 and to protect the interests of the public as we go
25 through this process. From a more narrow scope, the

1 Watermaster does a number of other things. We provide
2 an assessment package that assesses the water districts
3 and the purveyors within the Basin in order to make sure
4 that we can replenish the water that's over pumped. We
5 also provide reports and technical expertise to the
6 parties as they need them, and for the Court.

7 Q. And how is this role manifested through the Peace
8 II process?

9 A. Well, Watermaster remember is a neutral party.
10 And we take that very seriously. And Watermaster,
11 through the process, has made sure that the meetings
12 were open, transparent; that we were able to bring all
13 of the parties' information to the table to make sure
14 they had a forum with which to voice any opinions they
15 had about any subject. We also made sure through work
16 with our counsel and through our consultant that they
17 had an opportunity to submit evidence into their record
18 and provide information that was pertinent to other
19 parties. We also through the process made sure that the
20 process kept moving and it didn't stall, and that we
21 were moving the process forward on a timely manner as
22 was prescribed by the Court.

23 Q. As Watermaster CEO and acting as an arm of the
24 Court and as a neutral party in this process, what is
25 your opinion of the Peace II measures as presented to

1 the Court?

2 A. Well collectively, all of the measures together
3 are a giant leap forward from a management perspective.
4 When we look at hydraulic control and Re-operation as a
5 specific element within the Peace II documents, in my --
6 it's my opinion that they are a monumental move forward
7 for the Chino Basin to be able to maximize the asset of
8 this basin for the public. And at the same time, I
9 feel -- and I think everyone else in this room feels --
10 that it protects the interests of the future
11 generations. It does through the creation of hydraulic
12 control and the use of recycled water.

13 Q. Are there risks associated with this approach?

14 A. Well, it is my opinion that the only risk is not
15 doing anything. And let me say why. If we did nothing,
16 and this basin were to not create hydraulic control, we
17 would lose the benefit that the regional board has
18 conveyed upon us, the use of max benefit. If we lose
19 max benefit, we lose the option of using recycled water
20 to the degree that we want to use recycled water.

21 Keep in mind that the State of California in its
22 State Water Project and the Colorado River Project are
23 going to be stressed. We need to insulate the Chino
24 Basin for future generations to make sure that we are
25 using the only reliable water source that we have for us

1 in the Chino Basin. That's recycled water. If we lose
2 hydraulic control, we put that in tremendous jeopardy.
3 So doing nothing is the risk.

4 Q. And what measures will Watermaster be
5 implementing to ensure that the various interests in the
6 Basin are protected as Basin Re-operation moves forward?

7 A. Well in my mind, the key is monitoring. Right
8 now, the Chino Basin Watermaster spends around
9 \$3 million a year in monitoring within the Basin to make
10 sure that those things that we have said that we are
11 going to do actually do occur. Now I have used the
12 phrase in the past that compared to other basins in
13 Southern California that I'm familiar with -- Orange
14 County might be the only other exception -- that the
15 Chino basin is in high definition compared to those
16 basins. That is we were doing the kind of monitoring in
17 this Basin necessary for us to see immediate changes
18 that are occurring throughout the basin water level,
19 water quality, etc. So the key is in the monitoring to
20 make sure that we can react to those things that might
21 occur.

22 If we do see some changes to what we would
23 predict, there are a number of things that we can do.
24 In the short term, we can look at pumping patterns. We
25 can look at conservation. We can look at recharge

1 strategies in terms of where we recharge water. Those
2 are all things that we can do. In the long run, if we
3 had to, worse case scenario, you could just do
4 additional replenishment.

5 Q. And as you move forward, will Watermaster direct
6 Wildermuth to continue to refine his model and
7 reevaluate the assumptions and results of the model?

8 A. Yes. As I said, Mr. Slater had adequately
9 mentioned that we were, we have responsibility to the
10 Court to come back every five years. That periodic
11 review of the model and upgrade will take place at the
12 direction of Watermaster. There's also what I would
13 classify as episodic kinds of model changes that will be
14 made that I think are important to recognize. And that
15 is that we know more today than we knew yesterday. And
16 as we gather that information and we put it into the
17 model, those changes are going to affect those model
18 runs that we are going to use to make those decisions.
19 Those are all improvements to the model, and they will
20 be directed by Watermaster for Wildermuth to do on
21 behalf of the parties.

22 Q. As Watermaster CEO, are you concerned with moving
23 forward with Basin Re-operation if there are further
24 refinements that need to be performed to the model?

25 A. Actually, no. I had a colleague who served on a

1 board with me one time who said that you know, Ken,
2 you're never going to know as much as that will be
3 known. We've got to make decisions and move on. In
4 this particular case, I think that applies. We have a
5 tremendous amount of information here within the Chino
6 Basin. And to not move forward knowing what we know
7 today would be a mistake. We have a chance to make
8 monumental changes here in the Chino Basin that will
9 allow us to be able to preserve this resource for the
10 future, enhance our yield, enhance this Basin with the
11 use of recycled water and insulate ourselves from
12 problems on the Colorado River and on the State Water
13 Project.

14 Q. As you move forward with basin Re-operation, how
15 will Watermaster address the issue of recharge capacity?

16 A. This is an interesting issue. And I think you
17 need to look at where we are today. We have finished
18 Phase I improvements to our Recharge Master Plan. That
19 was an expenditure of \$50 million paid for by the
20 parties in this Basin. We are in the process of working
21 on our Phase II improvements which are an additional \$10
22 million in this Basin. With those improvements
23 completed which will be within this next year, we will
24 have a capacity for recharging this Basin today of about
25 75- to 80,000 acre feet of water depending upon how we

1 operationalize those facilities. That today if you were
2 to take all of the pumping that would be necessary if we
3 were to use -- we were not to use the 400,000 against
4 desalter pumping plus our production numbers this year,
5 we're still a decade ahead of recharge capacity in this
6 Basin. At least ten years.

7 Q. Now you indicated your number of ten years ahead
8 is based on there being 75,000 to 80,000 acre feet
9 replenishment capacity. What is the current
10 replenishment obligation that Watermaster must meet?

11 A. This year our obligation is going to be about
12 3,000 acre feet. Because -- that's making the
13 assumption that we can use the 400,000 towards the
14 17,000 acre feet of desalter production this year.
15 Collectively, that would be approximately 20,000 acre
16 feet if we were not capable of using the 400,000. We
17 have far more capacity today than we need to replenish
18 that amount.

19 Q. The special referee report raises the question of
20 deadlines regarding the update to the recharge master
21 plan. How do you respond to that?

22 A. Well, I guess I would have to ask the question in
23 terms of what the deadline would be for. If the
24 deadlines are for a recharge master plan, that is just a
25 report. I think that's a very reasonable kind of thing

1 to do.

2 What I find is that when we make deadlines for
3 the improvements themselves, quite often, we focus on
4 the dates and not on the options. I don't think that's
5 what we want to do here. I think the Chino Basin needs
6 to look at all of the options necessary for us to be
7 able to recharge. That's not just recharge in the
8 traditional sense that we have been doing, that is
9 putting holes in the ground and allowing water to sift
10 down into the ground, ground water.

11 I think -- and I have discussed this with the
12 parties many times. I think we need to do a surgical
13 way of getting a surgical way of getting water into the
14 basin. That is using ASR injection wells into the Basin
15 and finding and getting water where we need it to go
16 along with the additional recharges that areas that are
17 necessary. That does a couple of things. One, you
18 don't have these large tracts of land that you need to
19 purchase in order to be able the get water into the
20 ground; and secondly, you've provided an asset to the
21 party that one, they can use for injection; and two,
22 they can also use for extraction at some point in time
23 in the future. So you're getting a dual-use facility
24 out of it. You're also I think what I call surgically
25 putting water into the ground water basin to have, to

1 solve problems that we have such as MZ-1 and MZ-3.

2 THE COURT: Is injection expensive?

3 THE WITNESS: Actually, it is very cheap
4 compared to buying tracts of land and digging holes, and
5 doing all the grading and putting the conveyance system
6 necessary to get them there.

7 THE COURT: One other question.

8 THE WITNESS: Certainly.

9 THE COURT: Is the replenishment water, the
10 cost -- presumably, the Colorado River water diminishing
11 and State Water Project water is anticipated to
12 diminish, and the costs will go up presumably.

13 THE WITNESS: Yes.

14 THE COURT: You're taking that into
15 consideration if number one of your relief valves in the
16 future is we can always buy water, you understand that's
17 going to be more expensive.

18 THE WITNESS: Yeah, you're making the case
19 for use of recycled water, Your Honor. That's exactly
20 the strategy that the people in this audience and the
21 Watermaster are using. And that is that we need to
22 insulate ourselves from problems that they have. Does
23 that mean that we will never use State Water Project
24 water to replenish the Basin? No. I think we will
25 probably always have some level of demand from imported

1 water. But the more that we can reduce that demand, the
2 better off we are going to be and the better off future
3 generations are going to be in this Basin.

4 Q. BY MR. FIFE: So as Watermaster's CEO then, are
5 you concerned with moving forward with basin
6 Re-operation before you've completed revisions to the
7 recharge master plan?

8 A. No. As a matter of fact, I think we'd be foolish
9 if we didn't move forward.

10 Q. Now will Watermaster and the Court enforce the
11 requirement that the recharge master plan be updated in
12 order to continue with basin Re-operation as what will
13 happen if the parties do not carry out the recharge
14 planning process or implement the plan?

15 A. Let me restate one of the comments that
16 Mr. Slater mentioned in his comments. And that is that
17 Watermaster's obligation is to the Court, Your Honor.
18 And we have an obligation to perform that duty. And
19 it's true that we would like to work with the parties as
20 much as we can. We have a tremendous I think record of
21 working with the parties, i.e., as a partner in this
22 process. But if for some unbeknownst reason -- and I
23 can't imagine it -- that Watermaster and IEUA would not
24 get together on this issue, Watermaster would work with
25 the parties without IEUA unilaterally moving forward on

1 replenishment.

2 Q. Now that than gets to the next question. The
3 special referee questioned whether the requirement that
4 capital improvements to recharge basins that can receive
5 recycled water, whether that will hamstring Watermaster
6 if IEUA does not give its approval?

7 A. No. First of all, I can't see that happening.
8 Watermaster and IEUA and the other municipal water
9 districts such as Three Valleys and Western have a
10 tremendous record of working together. It's hard for me
11 to imagine that would take place. But if it did,
12 Watermaster would move forward.

13 Q. Now you mentioned earlier in your response to
14 Judge Gunn about aquifer storage and recovery or ASR and
15 injection. The special referee report raises a recharge
16 question concerning whether Watermaster intends to do
17 either ASR or injection. Can you speak to that?

18 A. Yeah. Actually it's both. And I think she
19 pointed out something that's important to make note.
20 Watermaster would do the injection side of the part, of
21 the process. That is we would work with the parties to
22 construct wells that would be operated together. That
23 we would do the injection side and they would do the
24 recovery side. And that recovery would take place not
25 necessarily at that well, but could take place anywhere

1 else within their system. So it would be a combination
2 of both. But Watermaster would only be doing injection.

3 Q. Now we have been talking a lot about the recharge
4 master plan. The special referee questions what it
5 means, that the Judgment Amendment says that Watermaster
6 will prepare a contingency plan to address potential
7 material physical injury resulting from basin
8 Re-operation. What's the difference between contingency
9 plan and recharge master plan?

10 A. Well, the recharge master plan, as I envision it,
11 would encompass all the strategies necessary to get
12 water into the ground. That would include the recharge
13 facilities as we traditionally think of them, and
14 injection wells or ASR wells as they would be
15 constructed. A contingency plan would include other
16 things, strategies that would be used if we were to have
17 a problem with being able to get water. That might
18 include additional conservation measures, working with
19 IEUA as we are right now on the initiation of
20 ordinances, to work with cities on demand side of the
21 equation. Also looking at recharge strategies and
22 possibly pumping scenarios that would shift and/or
23 purchasing of water that might shift demand from one
24 location where there may be additional sources of water
25 to other places where there may not. So there's a lot

1 of strategies that could be used within that kind of a
2 plan that wouldn't necessarily be addressed within the
3 recharge master plan.

4 Q. What does it mean that the cost of the
5 contingency plan will be equitably distributed?

6 A. The Judgment calls out for in most cases the
7 costs to be borne based upon operating safe yield. But
8 the parties over the last three years that I have been
9 involved, little over three years, they have
10 demonstrated that in certain cases, there's times where
11 they want to get together and change that formula in
12 order to create a more equitable approach for paying for
13 things. In this particular case, one of the formulas
14 that they have used as cited in the Judgment or in
15 the -- excuse me -- Peace II documents, is the use of
16 pumping as one of the elements within that particular
17 formula. I think this would be, for my own point of
18 view, will be one of those areas where pumping would put
19 into the formula and somehow then agreed to by the
20 parties, it would make some sense to me.

21 Q. Now moving off the subject of recharge, the
22 referee report notes that no declarations have been
23 provided to support the assertion in Watermaster's
24 motion that there's a problem with non agriculture pool,
25 water accumulating in storage. As Watermaster CEO, can

1 you confirm that this is in fact a problem?

2 A. In my opinion, it is a very serious problem. I
3 think water that is stranded in the Basin presents a
4 real problem to the future generation of this valley.
5 Water just sitting and not being used for beneficial use
6 in this basin, it should not occur.

7 Q. And how do you reconcile the problem of
8 nonagricultural pool water accumulating in storage with
9 the other proposal in the Peace II documents to raise
10 the cap on local storage of supplemental water?

11 A. Actually they are two different things. Using
12 raising the cap on local storage allows the parties a
13 strategy to be able to knock the peaks off of the demand
14 curve that they are dealing with and/or supply curves.
15 The water that's going into storage and being stranded
16 in the non-Ag pool is water that will never be used,
17 completely a different subject.

18 Q. What is your understanding of the benefits
19 associated with increasing the cap on local storage?

20 A. Well I don't think that there is a -- I think
21 it's a natural strategy to look to based upon the kind
22 of demand that we are seeing from or the kinds of
23 stresses on the system that we are seeing on the State
24 Water Project. I think those are a natural thing that
25 we would want to encourage will be the increase in

1 storage allowing then additional flexibility on how they
2 use their water.

3 Q. Are you familiar with the quantities of water
4 involved in the nonagricultural pool transfers, both the
5 one time transfer and the ongoing yearly transfer?

6 A. As of July, 2007, there's a little over 52,000
7 acre feet of water stranded in the Basin in the non-Ag
8 pool right now. On a yearly basis, the number will
9 vary. In terms of what would be made available
10 depending upon what their pool would use, but that is
11 would range somewhere between 3- and 4,000 acre feet a
12 year would be made available under the formulas or under
13 as anticipated in the Peace II documents.

14 Q. Now attached to Resolution 0705 is attachment E
15 are two schedules for the use of the 400,000 acre feet
16 of controlled overdraft. This was discussed by
17 Mr. Slater in his opening remarks. They are the most
18 rapid depletion schedule in the proportional depletion
19 schedule.

20 To your knowledge, have the parties made a
21 decision regarding which schedules they would like to
22 use?

23 A. Yes. Mr. Slater was correct when he said the
24 most rapid is the one that was selected. I know he's
25 glad to hear that.

1 Q. And does Watermaster intend to revise this table
2 as it receives new information?

3 A. Yes, it does.

4 Q. And will Watermaster be revising this table to
5 reflect Mr. Wildermuth's new estimates of new yield?

6 A. Yes, they will.

7 Q. Can you tell us generally what will be the
8 consequences as you understand them if Peace II is not
9 approved?

10 A. Well, the most obvious and the most urgent
11 consequence would be that we would have to replenish for
12 the 17,000 acre feet of desalted water that was utilized
13 this year. That would be an estimate of just a little
14 over \$5 million that would be added to the assessment
15 this year.

16 Q. Now even if this deadline were extended as the
17 Court suggested earlier, are there still time
18 constraints that suggest that we need to get
19 Watermaster's motion approved as quickly as possible?

20 A. Well, there is one in particular. And that is
21 that in working on this desalter issue, Western
22 Municipal Water District has available to it today a
23 \$5 million grant that they secured in anticipation of
24 moving forward with Watermaster and the parties. That
25 \$5 million grant has a date of September of '08 that it

1 must be utilized or it will be lost. That's the most
2 immediate that I know of.

3 Q. And moving forward with that project, as you
4 understand it, is contingent upon approval of the
5 Peace II process?

6 A. To my knowledge, it would be, yes.

7 Q. In general, as Watermaster CEO, what is your
8 impression of the Peace II process?

9 A. Understand that I came into this process after it
10 had already begun. In September of 2004, I came to the
11 Chino Basin from another basin that has adjudicated
12 water adjudicated basin with its own Watermaster. So I
13 have a working knowledge of how Watermaster works, and
14 have been working with parties as one in the other
15 basin.

16 What I have been impressed with in this basin, as
17 we have moved through the process, is that the parties
18 who have been involved in, although they are interested
19 in protecting the interest of their own agencies as they
20 move through the process, that is absolutely
21 understandable, and should be commended. They have
22 worked tirelessly, spend, spent millions of dollars,
23 millions of dollars to protect this basin for future
24 generations.

25 I can't tell you how many conversations I've had

1 with the parties in this basin about the fact that this
2 is not about the deal. It's not about the deal. It's
3 about what to do right in this basin for future
4 generations. And I think that needs to be made a part
5 of the record; that the parties in this basin have
6 worked and spent millions of dollars to make sure that
7 they are doing the right thing. And I think we get lost
8 because we see numbers that come out of Dr. Sunding's
9 report that look large. But we forget about the bonding
10 capacities that they have committed, the million's of
11 dollars that they have expended in advance of any of
12 this activity.

13 The fact that we're a decade ahead in recharge
14 capacity, the fact that we have spent millions, tens of
15 millions of dollars on recycled water and facilities to
16 put that water, and studies to make sure that we can
17 blend with a higher percentage of lower percentage of
18 imported water, those are all the things that need to be
19 recognized as we move through this process.

20 The parties in this case are committed to this
21 basin, not just to make a deal, but to make sure that
22 future generations have a resource available to them and
23 to their grand kids. And I can't say that enough.
24 These people are really working at, working on behalf of
25 the future, not for the deal today.

1 MR. FIFE: Thank you.

2 That's it for Mr. Manning, unless you have
3 any questions.

4 THE COURT: Anybody else have any questions
5 they wish to ask, anybody with standing, that is,
6 meaning attorneys.

7 Okay. You can step down, Mr. Manning.

8 THE WITNESS: Thank you, Your Honor.

9 MR. SLATER: Your Honor, yes, we'd like to
10 call Mr. Wildermuth.

11 **MARK WILDERMUTH,**

12 Having been called as a witness and having been duly
13 sworn, was examined and testified as follows:

14 THE CLERK: You do solemnly state that the
15 evidence you shall give in the matter now pending before
16 this court shall be the truth, the whole truth, and
17 nothing but the truth, so help you God.

18 THE WITNESS: I do.

19 THE CLERK: Please be seated. State your
20 name.

21 THE WITNESS: My name is Mark Wildermuth.

22 THE CLERK: Spell the last name.

23 THE WITNESS: W-I-L-D-E-R-M-U-T-H.

24 THE CLERK: Thank you.

25 ///

1 DIRECT EXAMINATION

2 BY MR. SLATER:

3 Q. Okay if I call you Mark?

4 A. Absolutely.

5 Q. Can you tell us your present position?

6 A. Yeah. I am the president of Wildermuth
7 Environmental.8 Q. Can you summarize your experience in water
9 resource management generally?10 A. Sure. In the early '80's through the '80's I've
11 worked on two basin plan updates for the entire Santa
12 Ana Water Shed which involved the construction,
13 calibration and application of numerical model for in
14 this case 400,000 acre area including the Santa Ana
15 River to determine if there was assimilative capacity
16 and what the impacts of various waste discharge permits
17 might have in the water shed.18 In the late '80's, we had made an observation
19 that it was going to cost billions to comply with these
20 permits. So stepping out of the box as a person working
21 for their regulators, we went to the regional board and
22 said you know, these water quality objectives, what is
23 their scientific basis? What do we have to do to know
24 before we spend all these billions of dollars?

25 So we conducted an investigation and which led to

1 the fact that there wasn't much of a basis for it. And
2 subsequently, we went on a journey where we developed a
3 process, developed a science to estimate a water quality
4 objective for the basin, and what is the ambient quality
5 and define ambient quality. And we redefined the water
6 quality regulatory framework for the entire Santa Ana
7 Water Shed. That is from Beaumont to the ocean and from
8 Cucamonga to somewhere south of San Jacinto. In that
9 same period of time, we came up with a maximum benefit
10 concept and took it into the water shed -- we will hear
11 about that in a little bit -- and packaged that with a
12 basin plan update, and the only basin plan update in the
13 history of this water shed where there was no
14 opposition. And in fact there was praise at the board
15 level at both the State board and the regional board.
16 So I went through various, more locally in the Chino
17 basin.

18 I began work in Chino Basin again in early, in
19 the early '80's and developing a running model to
20 simulate the MWD's DWR ground water storage program.
21 That was a million and a half acre foot program. And
22 later in that decade, I was a project manager for the
23 engineering work and the program EIR for that. That was
24 for the Metropolitan project.

25 I also worked on the Chino Basin Water Resources

1 Management Study where I just started my company and I
2 was pulled in to help to complete that modelling effort
3 and get that project going.

4 One thing Ken related to was the ability that the
5 Watermaster in Inland Empire have to go beyond what
6 conventional regulations for recycled water recharge.
7 Again we looked at what the regulations were and asked
8 why. Went to DPH and Department of Public Health, and
9 Inland Empire and proposed a whole new regulatory
10 protocol paradigm, and met with considerable resistance.
11 But by doing experimentation and doing good science, we
12 got that passed. They now have incorporated that into
13 their de facto regulations and made available to anybody
14 in the State of California.

15 Q. With any other Watermasters?

16 A. Pardon.

17 Q. Do you work with any other Watermaster?

18 A. I'll speed up, Scott. Yes. I am the engineer
19 for the Beaumont Basin and sort of responsible for the
20 actual adjudication. And we have the great fortune of
21 really being the watermaster to all the watermaster
22 services and the monitoring and all their planning.

23 Q. And Mark, can you tell us what your general
24 responsibilities are with Watermaster?

25 A. Changed over time. Prior to the OBMP, Wildermuth

1 did sort of ad hoc, by-task order engineering and
2 scientific investigation for the Watermaster. When this
3 Court ordered the development of the OBMP, we developed
4 the work plan and constructed process to develop the
5 OBMP. And we have, actually we prepared the OBMP
6 document, participated in the implementation plan and
7 assisted Watermaster legal counsel in development of the
8 Peace Agreement.

9 Q. And how long have you performed the function of
10 being engineer with Watermaster?

11 A. Pretty much about the late '90's to the date.
12 But I've been working either with Watermaster or in
13 parallel with them in this Basin since early 1980's.

14 Q. For the Court and the parties, can you identify
15 the location of the Chino Basin?

16 A. Yes, I can. But may I get up and walk around?

17 THE COURT: Sure. There's a pointer on the
18 ledge there.

19 MR. SLATER: Your Honor, we have marked
20 copies of this if you'd like them to be marked for
21 identification.

22 THE COURT: It would be nice actually. But
23 there is a -- we have a pointer.

24 THE WITNESS: I've got a light.

25 THE COURT: A laser pointer, actually

1 better.

2 THE WITNESS: Okay. What you have up here
3 is a map of the Chino Basin area. The red line here
4 shows the legal boundary of the Chino Basin. San
5 Gabriel Mountains are up here in the top. Puente and
6 Chino Hills down here. The Santa Ana River as it comes
7 up here through Prado Basin, comes out on the southern
8 end of the Basin. We're right here, approximately.
9 The Basin which is the 10 Freeway here. This is the 60
10 and the 15. And right about here in the center of the
11 Basin is the City of Ontario.

12 Okay. This is adding onto this here. We
13 have added on. We highlighted the drainage features in
14 the Basin and the recharge basin or recharge assets that
15 we currently have. Those are shown in blue. Over here
16 on San Antonio Creek, we have a pretty rich cluster from
17 the College Heights, Upland, Montclair and the Brooks
18 Basin. This is the West Cucamonga Creek and a couple
19 facilities there. One directly on Cucamonga and Deer
20 Creek. Up here we have a quite a big complex up here in
21 the Etiwanda, San Servaine area. And down over here, we
22 have a couple new basins too that were not quite ready
23 for supplemental water, but will be soon. That is a
24 very important area to actually put supplemental water
25 in.

1 MR. SLATER: Your Honor, if I can briefly
2 interrupt for a second. For identification purposes,
3 can we mark this as Exhibit, Watermaster Exhibit A or 1.

4 THE CLERK: 1.

5 MR. SLATER: 1. Sorry, Mark.

6 THE WITNESS: No problem.

7 Q. BY MR. SLATER: And Mark, just for the record,
8 would you, to the extent you're using the pointer, try
9 to describe the physical condition that you're pointing
10 to?

11 A. Okay. We are looking at a map now which shows
12 the desalter facilities as they currently exist in the
13 Basin. These bright green circles here correspond to
14 the location of the treatment plants themselves. This
15 cluster of wells here which is these white symbols
16 correspond to the wells for Desalter one, and these
17 little square symbols here are the wells for Desalter
18 two.

19 Okay. Okay. Go back. What did I miss here? I
20 want to go -- Did I get desalters, new wells?

21 Down here, we show the location of again more
22 desalter facilities. These are proposed well fields
23 here. We show dots here to mean wells, but it's really
24 a well field area; not exactly sure where those wells
25 will be. This is also the area, this ground water flows

1 through the basin. I'll show you in a moment where we
2 currently have some leakage out of the basin. Okay.

3 Imported water facilities, it's a almost complete
4 map. This would have been really good until the WRDA
5 came out when congress passed WRDA and it got to the
6 president's veto, and there, through here is difficult,
7 we don't have access to.

8 We are going to put turnouts. That will be the
9 Azusa-San Gabriel line here. This is the Foothill
10 Caesar, excuse me, the Rialto Reach to the Foothill
11 Caesar where State Project Water Project comes down and
12 can also come down through this little pipeline here.
13 This is the Colorado aqueduct which we currently don't
14 take any water out of because of salt management
15 purposes. So we take up here is where our turnouts are.
16 Here. And we have to distribute that water to the
17 drainage system and pipelines to get to these recharge
18 assets. Down here this RP3 and Declez Basin. We are
19 going to bring water down to a basin here and run
20 through a pump station which is sort of unprecedented
21 for trying to get water to recharge basins.

22 Again in our recycled water system that's in the
23 Basin, this isn't the entire as it exists to date. This
24 is the proposed system, and system which built and
25 proposed system. You can see it's quite extensive. You

1 can see it has been extended up into areas where we have
2 our recharge assets. So we can actually move straits
3 through these basins for what we call indirect potable
4 reuse. Put in the ground, and through the magic of
5 infiltration, it becomes drinkable. Okay.

6 In the far west end of the Basin, we have an
7 anomaly out here we call a subsidence, subsidence area.
8 This is the area of active subsidence concern where we
9 have had ground fissures and recent subsidence in the
10 past thirty years. Okay.

11 And this is a little tougher map to interpret, so
12 I will do my best. This is a map that shows the ground
13 water levels, we would call the upper layer of the Chino
14 Basin in 2006. And along this line here, we will pick
15 this one here is 700. This is a contour of equal
16 elevation. So if you were to measure the water table at
17 any point along that line will be 700 feet and so on for
18 725. The way you interpret that map, as if ground water
19 flows everywhere perpendicular to those contours, or
20 normal to the contours. So if you're a particle of
21 water and you're here and nobody pumps you out, you're
22 gonna flow like this, and you're gonna get pulled right
23 into here. This happens to be a pumping depression, a
24 small pumping depression, around wells owned by Jurupa
25 Community Services District. Similar analysis up here.

1 You see these recharge assets. These are the Upland,
2 College Heights, Montclair Basin is here and Brooks
3 basin. Any water that comes out of here is going to
4 head through these pump depressions where these closed
5 contours are. In the case of -- this is
6 Management Zone 1. You'll often read about dedicating
7 making sure the first recharge we do is there, is to
8 help mitigate these pumping depressions that occur
9 there.

10 Down lower in the Basin, do you remember, this is
11 2006. We have Desalter Number 1. Starting to see this
12 capture zone forming up in the east side of this well
13 field, but oddly you don't see it in the west. You
14 don't see it in the west because those are deep wells,
15 aqua fluid, almost no circulation. There's no water. It
16 produces beautiful quality water all above it and all
17 through here. And the layer above it is where we get
18 leakage. So when these wells went in, they went in for
19 the purposes of running that desalter and having a
20 blending supply to help manage the cost of that. But
21 they don't do anything for hydraulic control. So we had
22 those original wells here. They come across here.
23 Those are perforated shallow. And by perforated
24 shallow, and doing all the things we're proposing, we
25 can cut off this discharge.

1 Lastly, just so you can see who's who in the
2 Basin -- I mean you know who the parties are. But I
3 thought I'd show you the sketch that shows locations of
4 the various parties. Here's Fontana Water Company
5 covers this area here. City of Ontario here. This is
6 the Cucamonga Valley Water District, Upland, Monte
7 Vista, Chino, all three. Chino is this here, here and
8 here. So Chino Hills is sort of on the fringe of the
9 Basin. See Norco is sort of the same thing. Legal
10 basin is here but Norco is down on the other side of the
11 river.

12 Q. If you could, Mark, could you briefly describe
13 what you mentioned as max benefit in your earlier
14 remarks and embellish a little bit on what Ken
15 described?

16 A. Sure. This map or picture slide, I'll describe
17 it to you, is a plot of the projected time history of
18 total dissolved solids, or TDS, is salt. And the Chino
19 Basin, it's an area of wide ambient volume weighted
20 estimate. What all that means is it's you look at the
21 values of TDS all around the basin, and look at the
22 volume of water associated with those. And we come up
23 with a volume weighted estimate.

24 And what this shows again is a project over time
25 for various water-use scenarios. And we prepared this

1 back when we were doing the Basin Plan Amendment. I
2 talked about that in the beginning of my talk. We were
3 faced with some pretty draconian objectives in Chino
4 Basin. So we decided well let's take a look at where
5 this basin might go if those concentrations stay less
6 than what we call a use of impairment threshold, in
7 other words good enough quality to use, maybe we should
8 ask for a higher objective. And the regional board said
9 fine, but do this analysis. So we did these four cases.

10 Case one -- I won't go into it -- was something
11 that was done out of academic interest, but made it into
12 the record. So I wanted to put it in there.

13 Case two, is if we look at OBMP's water supply
14 plan and we did no recycling, everything was done with
15 state project water. And if you follow this over time,
16 it's telling us that quality around 2000, the basin is
17 around 319 to 320. And over time, it's going to rise.
18 And say a hundred years from now, it's going to be about
19 430. So it's going to go up over time. Use protection
20 threshold is a couple values for that. One is 430, and
21 one of them is 500. 430 is behavioral based one; 500 is
22 secondary maximum contaminant level. That's in the Water
23 Code.

24 So, we had this out here, and we said gee, no
25 matter what we do, if we use the best water quality

1 available to us, TDS is going to go up anyway. It goes
2 up because of consumptive use. People irrigate their
3 lawns. And just a time history of everything making it
4 down over time.

5 Case three was what happens if we use recycled
6 water for the planned direct uses that we talked about
7 in the OBMP. And you can see that it's very little,
8 almost no change. It's about what, 20 milligrams per
9 year, maybe a little bit less over a hundred years.

10 And then we said, Case 4, we said what happens if
11 we do 50 percent of our replenishment with recycled
12 water which is what the law provides right now. And we
13 saw how it ends up in 470-ish range. So basically, by
14 using only state project water, we get a 40 milligrams
15 per liter bottle. And we're still below what we
16 consider you know any kind of use restrictions with the
17 water. It's still pretty good water. A lot of places
18 in the world would love to have that quality of water.

19 So, let's go to the next slide. What you see
20 here is a map of the Chino Basin broken down into
21 various sections, corresponds with what we call OBMP
22 speak of Management Zone One, Two, Three, Four, and
23 Five.

24 These are numbers you see here are the
25 antidegradation objectives -- and I will explain that in

1 a minute -- for TDS and nitrate. What antidegradation
2 means is that is policy of the State of California
3 Executive Order 6816 is that when they developed the
4 management, these base plan water quality control plan,
5 they had to be written to protect the best quality in
6 these basins at the time they were first developed, '73
7 in this case. And so, what this represents here is 293
8 represents the TDS and Management Zone One in 1973, and
9 so on for all these values.

10 Well, our recycled water, we have permits for
11 550, runs around 500. Ambient water today is closer to
12 300 across all these basins. So ambient water is greater
13 than the objective. What that means is because of
14 another state board order called Rancho Caballero,
15 rancho Caballero says they have to write permits to
16 enforce the basin plan. Can't write -- all permits have
17 to enforce the base plan. For us to use recycled water
18 in this Basin, we would have to have these
19 concentrations. We're already you know right around,
20 500, 550. We're in the home park.

21 So we went back to the regional board. We said
22 look, we got this problem. You know you want to put in
23 these desalters. We know we are going to try to do all
24 we can to make sure there's no outflow from the Basin.
25 If we do all these things, can we raise the objective?

1 You know, we made a lot of other demonstrations. We
2 showed that it was in the economic interest. We used
3 Water code section 13241 which is a whole bunch of
4 criteria that you must examine. We looked at all those
5 criteria, and impressed upon the regional board that we
6 have a management plan. Let us execute the management
7 plan. Can you give us a higher objective? And they
8 said yeah. We agree. In fact, they wanted to help us
9 with the management plan. That was something they
10 really got vested in.

11 The other curious thing about going beyond re
12 recycled water is state project water. Now this is kind
13 of a complicated looking graph. What it does is it
14 shows the frequency or the amount of time state water
15 project exceed some TDS, TDS exceeds in value. And I
16 have also plotted on here the antidegradation
17 objectives. You can see it about half the time. The
18 TDS exceeds basin plan objectives.

19 When we put this plan together, regional board
20 was of the mind and is still of the mind that they will
21 not allow replenishment when this occurs in a basin that
22 doesn't have assimilative capacity. I mean it's a
23 balancing argument. What about this? What about that?
24 It doesn't work out. You can't. You cannot backfill
25 these excursions with this.

1 So, let's go to the next slide, Tom. We made a
2 proposal to lump these management zones together up here
3 from a regulatory perspective with these, with this
4 objective. Actually that was their, that's what they
5 gave us.

6 What this does in current numbers, our ambient
7 quality is in the very low 300s. This was 420. It
8 creates what we call assimilative capacity. What
9 assimilative capacity means, if the objective is here
10 and ambient quality is much lower, regional board will
11 consider allowing you to degrade the basin. So you can
12 encroach into that capacity. And you remember you saw
13 all those curves. It was going to go up anyway, and he
14 made it go up a little bit more. They said fine, we
15 will grant that to you until it hits 420. And there's a
16 whole bunch of conditions with this. One of them is
17 hydraulic control. One of them is that you try to do as
18 much state project water recharge as possible,
19 specifically with the high-quality water, high-quality
20 state project water.

21 When we come close to these numbers, we have to
22 plan to do more desalting. We are already doing
23 desalting. We are going to be doing 40,000 acre feet of
24 ground water pumping. This will be in addition to that
25 at some time in the future. So when we get within ten

1 milligrams per liter of that, we have to start a process
2 to do that.

3 So, what's the benefit of this maximum benefit?
4 Well, if we didn't do it, or we failed, we would have to
5 demineralize the waste water is which is to use it.
6 That's just a cost. We'd have periods where we would
7 have difficulty replenishing state project water.

8 Another interesting aspect of it is that we would
9 probably over time, because of the outflow in the
10 bottom, the model work that was done at this time
11 supported the fact that we would have to start
12 demineralizing our waste water and dumping it into the
13 river to mitigate the outflow from the Basin, that the
14 outflow from the Basin would be enough to trip the
15 objectives. And well, actually be in Orange County.
16 So, that effect, that economic argument alone avoiding
17 that sort of devastating thing where we have to,
18 mandated to throw away water to mitigate the outflow
19 from the Basin, to do the desalting to get a lower cost
20 replenishment supply made the OBMP cost effective back
21 in -- I mean it's expensive, but it made it work back in
22 2000.

23 Q. Mark, you mentioned in your summary that the
24 regional board was supportive of this effort?

25 A. Very supportive.

1 MR. SLATER: Your Honor, may I approach the
2 witness?

3 THE COURT: Yes. You don't have to ask.

4 Q. BY MR. SLATER: Mr. Wildermuth, do you recognize
5 what's in front of you?

6 A. I do.

7 Q. Can you tell us what it is?

8 A. Yes. This is a presentation that was made by
9 Gerard Thibeault T-H-I-B-E-A-U-T, or -- he's the
10 executive officer of the Santa Ana Regional Quality
11 Control Board. This is a presentation that he gave to
12 the Association of Ground Water Agencies. It was a
13 conference done with the American Ground Water Trust in
14 Ontario last year. He's also given this presentation to
15 the State Board, and others that I know of.

16 Q. And in your opinion, is this consistent with the
17 general view of the Regional Board with regard to max
18 benefit?

19 A. Yes. The Regional Board is actually telling
20 other water agencies to bring max benefit proposals to
21 them so that they can legitimize their imported water
22 recharge.

23 Q. And Mr. Wildermuth, can you look at Page 6 and
24 tell us what you see with regard to the last line, for
25 identification purposes?

1 A. Correct. That all documents are posted on the
2 website.

3 Q. Of?

4 A. Excuse me. The water boards in the Santa Ana
5 Regional Water Quality Control Board website.

6 Q. Thank you.

7 A. Okay.

8 MR. SLATER: Your Honor, I'd like to move
9 this into evidence, please.

10 THE COURT: Any objection from anyone?
11 Okay. It will be received into evidence.

12 MR. SLATER: Thank you.

13 THE COURT: Be marked as Exhibit 2.

14 MR. SLATER: Thank you.

15 Q. BY MR. SLATER: Mr. Wildermuth, there has been a
16 lot of -- sorry. There has been some discussion of
17 hydraulic control and basin Re-operation this afternoon.
18 Can you tell us what your understanding is of those
19 terms?

20 A. Hydraulic control means the reduction of
21 discharge from the Chino Ground Water Basin to the Santa
22 Ana River to complete reduction or a reduction to
23 di minimus levels.

24 Q. And basin Re-operation?

25 A. Basin Re-operation is sort of a strategic

1 lowering of water levels in the Basin to reduce the
2 gradient towards the river thereby facilitating
3 hydraulic control.

4 Q. How does that relate to max benefit?

5 A. Max benefit objectives require demonstration of
6 hydraulic control. Time certain.

7 Q. So, hydraulic control is important because why?

8 A. Because if we don't have hydraulic control, we
9 will not have access to the assimilative capacity
10 created by the max benefit objectives. We will be
11 treating or demineralizing our -- and if you remember
12 the plot I have there, it doesn't do much if it was
13 demineralized to the quality of state project water,
14 doesn't do much for the water quality in the Basin.

15 So we basically be paying, well constructing
16 large facilities, paying for the capital treatment costs
17 with very little benefit.

18 Q. Mark, you've talked about the Peace II Process.
19 What has your responsibility been with regard to the
20 Peace II process?

21 A. My responsibilities were the preparation of the
22 technical part of the project description and the
23 evaluation of its potential impacts.

24 Q. And can you briefly summarize the project
25 description, what its chief components are?

1 A. Right. Well the two main features from the
2 technical perspective are the expansion of the desalting
3 program, and about 28,000 acre feet of capacity of
4 ground water pumping to almost 40,000, and the
5 description of how to attempt Re-operation up to 400,000
6 acre feet.

7 Q. Okay. And what did you understand what your
8 duties to be with regard to evaluating the proposed
9 project description?

10 A. To evaluate material physical impacts that could
11 occur from the operation described in the project
12 description, and to determine if the 400,000 acre feet
13 was the appropriate value for that.

14 Q. And are you the principal author of the draft and
15 final reports that have been filed along with
16 Watermaster's motion for approval of the Peace II
17 Measure?

18 A. I am.

19 Q. And have you authored two declarations which are
20 also on file with this Court regarding the Peace II
21 documents measures?

22 A. I am.

23 Q. And in your opinion, does or do the draft and
24 final reports discharge your responsibilities to
25 Watermaster with regard to evaluating the impacts

1 associated with the project description?

2 A. Yes.

3 Q. And is the project description you described and
4 evaluated in your draft and final report the same
5 project description that was attached to the Watermaster
6 motion for approval?

7 A. The technical portions, correct, are. Yes.

8 Q. Did you perform the technical analysis regarding
9 the assessment of potential material physical impact, or
10 as we say in the basin, material physical harm?

11 A. Yes.

12 Q. And what function does your updated, supercharged
13 Watermaster model play in predicting potential impacts,
14 and how does that also affect your opinion regarding
15 impacts.

16 A. Well, model is a predictive tool that we use in
17 addition to, you know, our experience and our
18 professional judgment. So it is part of what we use to
19 determine the impact.

20 Q. And we have heard a lot about the Watermaster
21 model and its iterations over time until we have landed
22 on the supercharged version today. Can you describe
23 that process a little bit, Mark?

24 A. The evolution over time?

25 Q. Yes.

1 A. Back in very early 2000's, we developed -- I am
2 hesitating because I have done models since 1980. I
3 can't even count them now. But probably the latest and
4 greatest model prior to this one we called the 2003
5 model. And it was developed and calibrated in a project
6 to evaluate dry year yield impacts, proposed right of
7 yield program with Inland Empire, Chino Basin
8 Watermaster, and Metropolitan.

9 Q. Mark, for the Court, can you briefly describe the
10 elements of the dry year yield program?

11 A. The dry yield program is a way to, for
12 Metropolitan to store some water in the Chino Basin
13 during years of plenty, and then in dry years, at their
14 call, ask us to use that water in lieu of them
15 delivering water to us. And that program I think there
16 is about \$27 million plus or minus in facilities, which
17 include new wells, treatment facilities; and enable the
18 producers in the Basin to reduce their demand about
19 33,000 acre feet a year when a dry year call is made.
20 And on the other side of that, when there's surplus
21 water, makes it available sort of at our discretion as
22 to how we want to put it in the ground. We either put
23 it in the ground through in lieu means or through wet
24 water recharge.

25 Q. Sorry to interrupt you. With regard to

1 description of your process, can you return to your
2 evaluation?

3 A. Can you go back and restate the question again?

4 Q. Yeah. You described the process you went through
5 to evaluate the impact associated with the project
6 description?

7 A. Okay. But you are referring to the evolution
8 model.

9 Q. Correct, and its role in that process.

10 A. We started out in the Peace II process beginning
11 to discuss this Re-operation concept. And I'll make it
12 really clear. This is probably not the right place.
13 This whole Re-operation concept had a different name
14 back then. But it is something that we noticed in our
15 firm. We noticed it. We could play with the operation
16 of the Basin to induce more yield and also, you know,
17 secure hydraulic control. Those two things go hand in
18 hand. You can't do one without the other.

19 And so, we made some studies on that, and brought
20 it to the parties in the basin and started to get
21 traction, and began to look at all various alternatives
22 with it. And up and through I would say the middle of
23 '06, we have been using as planning tools to evaluate
24 various tradeoffs between hydraulic control, magnitude
25 of hydraulic control and how much read-out water or

1 water we should have in this program.

2 Sometime I guess it was Spring of '06, there was
3 that sort of a peer review process that begin with
4 Mr. Scalmanini. During that time, we first met with
5 Joe, I remember telling Joe that remember we are moving
6 onto a new model. You've got to review this one. We
7 will outline what we are going to do.

8 He did his review, concurred with what we were
9 doing and had some of his own ideas. They were all put
10 into a new model which we've been developing for almost
11 two years. That model is complete. That is the model
12 we use to evaluate the current project description.

13 Q. And have you reached any conclusions regarding
14 whether the proposed project description will result in
15 any impacts?

16 A. Yes. May I step away again?

17 THE COURT: Okay.

18 A. What I am going to do right now, I am going to
19 talk about the conclusions related to the ground water
20 changes. And to get everybody focused on how we think
21 about impact, we have a baseline alternative, is what we
22 would do without Re-operation but with the desalter. So
23 we have expanded desalters 2013. We are running
24 desalters flat out that we proposed. That would be
25 these wells you see here and the extension here, and

1 producing almost 40,000 acre feet.

2 What this chart shows is a change in water level
3 across the Chino Basin going from beginning of this
4 period which is 2004, fall of 2005 through roughly fall,
5 2023. And so why 2023? Is ten years after the start --
6 a couple reasons here. Ten years after the start of the
7 full-flowing desalters production and also because
8 there's cycles of dry periods and wet periods where we
9 were assuming we don't have water for replenishment. We
10 are trying not to end up with different places in the
11 cycle. This was a good place to be. What it shows is on
12 this basis, this is a contour. Zero contour means there
13 was no change in elevation and everything west of here
14 went up. Everything east of here went down. A little
15 bit to why. So what's going on here? It's just
16 redistribution of recharge, the biasing Management
17 Zone 1. There was also the control overdraft in here
18 pursuant to the Judgment. There's a 200,000 acre foot
19 allocation that's still going on. And what we have
20 done, tried to be faithful to the product description or
21 the what's going on in Peace II which we're going to
22 program this here to keep this level up. Some of that
23 at the expense of this area. So this area out in here
24 is taking a bit of a hit volumetrically.

25 Q. BY MR. SLATER: Mark, would you explain, while

1 you are keeping the area that you have identified up,
2 can you describe the area that you were pointing to and
3 then explain why you would keep it up?

4 A. Sure. This area up in here, if you remember that
5 2006 is an area where we have a great deal of pumping
6 depressions. This is sort of repairing those pumping
7 depressions. And we also, it's an area of subsidence is
8 we were trying to supercharge the four bay area to help
9 that area out. Does that cover that?

10 Q. Thank you.

11 A. Okay. Let's go to the next line, Tom. This is a
12 2053 slide for the same area. This was the upper most
13 layer in the model, model that got multiple layers
14 representing multiple systems in the Basin. And you see
15 this is moved a little bit. Looks kind of the same.
16 Sometime after, this was about 2023, 2030, things don't
17 change much. I will demonstrate that again through
18 another slide.

19 Let's look at the difference between alternative
20 1-A which is the raid depletion scenario. Let me go one
21 more slide, and we will look at that difference between
22 that and the baseline.

23 So basically, what happens when you try to pull
24 400 out, in this case it's going to be 6. But we will
25 come back to that in a minute. This is the rapid

1 depletion scenario. And as was pointed out in Scott's
2 earlier discussions, this here represents a commitment
3 of water from the Re-operation account to this Western
4 or we call Desalter Three. This represents a depression
5 of that Re-operation account for the rest of the
6 desalting system. Over here, it's a new yield. We
7 assumed in this schedule the river is about 30 percent,
8 maybe a little bit less than what the desalter produced.
9 Over here on the far left is the actual desalter
10 production. We assumed its schedule. The far right,
11 this is a residual replenishment of the operation. What
12 this means, with this assumed inflow, these associations
13 of Re-operation water to the desalter pumping, we will
14 have a, begin to have, about 2018, begin to have a
15 replenishment system for this desalting system. If you
16 add these number here, the 213, 225, 175, 262, that
17 equals that. So we got it covered. Okay.

18 Let's look at 2023. It's a little different
19 color scheme than we usually use. Usually we show areas
20 going down as a brown or a red. But what this shows, a
21 difference in ground water elevation between the
22 baseline and Alternative 1-A. Mostly negative contours
23 meaning that overall, the basin has dropped and this
24 upper layer, in this case 30 to 40 feet. Next one.

25 And again this one looks, it's kind of the same

1 one, only you have a larger change of storage in here,
2 or change in water level, has to do again with how we
3 allocate this water for recharge. Just been some change
4 in there. So now we are looking 40, 50 feet here, down
5 20, 30 feet in this area in here.

6 So, there's a lot of maps in our technical
7 report. And it's meant to try to be, you know, I won't
8 say exhaustive, but have enough information to draw
9 conclusions. One thing I think we weren't strong enough
10 on is letting you know on a map scale what the
11 Re-operation does. These are all very survivable
12 changes in storage. Changes in water levels. Excuse
13 me.

14 Okay, Tom. Let's look at it from a cross-section
15 perspective. So we are going to go from the northeast
16 over here to the Rialto area, going to come southwest
17 across the basin, come through this Chino desalter well
18 field and into the Chino Hills. Then we will go through
19 these quick. This is spring, 2005. This is the water
20 level, spring, 2005. And the next line should show
21 water level for the baseline now. This is just the
22 desalters. No readout watermaster moving replenishment
23 water around to take care of Management Zone 1 and a
24 little bit of control overdraft.

25 So let me go over the cross-section. This shows

1 sort of the geology of the basin here. These are the
2 rock types, interior faults. And layer three looks like
3 this. Layer two is a smaller area over here. Layer one
4 is you know probably the, functionally, the largest
5 function of the aquifer system in the Basin. These
6 things here are wells. We got a little carried away,
7 tried to put some geology on there. These little pieces
8 out here are the well screens. So again, you can see
9 that these levels changes, 30 feet, 40 feet above the
10 well screen still. That's 2023. 2053. That green line
11 is still there, just written over by the plan for 2053.
12 So essentially no significant change.

13 Let's look at the baseline versus Alternative 1.
14 In 2005, it's the beginning. I am sorry. This is just
15 Alternative 1, a little more draw down than we had
16 before. And 2053, again the same. Why? Because reop
17 occurred early. Doesn't occur after 2030. So at that
18 point, we are in balance or what I would call a quasi
19 equilibrium. The Basin is balanced and maybe the values
20 are moving around a little bit, basically some kind of
21 quasi equilibrium.

22 And the next set shows a comparison of the
23 baseline to alternative 1-A which is really a more
24 faithful way to look at the impact of the Alternative.
25 So, this is 2023. Again remember we are looking up

1 there in the eastern part of the Basin, it was like 30,
2 40 feet.

3 Next one. Gets a little bit more here, there's
4 just a little bit more. So, again, the impact related
5 to the hydraulic in this case to Re-operation water
6 levels across the basin kind of uniform when you get
7 most of the desalters generally and probably in the
8 order of 30, 40 feet, with a few areas lower, a few
9 areas higher.

10 Okay. Let's go to the next slide. Let's go
11 to -- we are going to talk about, you know, changes of
12 flow in the river. Let me back up. Don't you back up.
13 These water level changes are survivable. You know,
14 there's a slight energy increase some people will face
15 with these. You know part of the Peace II Agreement and
16 the economic benefit is such that the increase in energy
17 is spent from pumping at a slightly lower level are more
18 than offset by the economic benefits.

19 The definition of material physical injury as it
20 has been used in the OBMP says that change in water
21 levels is a material physical injury. Well, I think
22 that can't be a bright line. Anybody who puts a new
23 well anyplace causes a permanent change in water level.
24 When they put that well in, that is part of the material
25 physical injury. Yet, what we have done here as you

1 said as a group, we want to lower the levels, pay the
2 costs, and for the financial gain and the uncertainties
3 created by that. So our findings with respect to that
4 is there really wasn't material physical injury with the
5 water levels.

6 Now doing all these simulations, we assumed for
7 45 years that we know what you're doing. Every once in a
8 while, a well model will tell us a well's having trouble
9 pumping water, can't pump water. There's only a few
10 wells, happens under certain conditions, certain
11 simulations. Might be interpreted as material physical
12 injury. I would argue that those are mitigatable. If
13 we have the time -- and it's a model projection based on
14 assumptions of 55 years of operation. So, if we have
15 feed back with everybody, you could probably sit down
16 and work that issue out. So, as to the ground water
17 levels, you know, we don't see any particular material
18 physical injury or potential for it.

19 I want to show you a couple slides that relate to
20 river influence safe yield change because those are
21 really the same. I am talking about safe yield change
22 for the alternative with Re-operation relative to the
23 baseline, at least initially. What we do in the model
24 is we set a portion on the stream at the outset of the
25 model. We just say okay, what was the stream flow, not

1 baseline. What is the stream flow in the alternative?
2 We compare the baseline to alternative and decrease in
3 the stream flow is the induced recharge in the basin.
4 Turns out if you do detailed water budget work by
5 looking at scale-to-scale stuff, you get the same
6 answer. This is just a shorthand way to get this. What
7 they show over time -- this is the planning year. This
8 is the change of discharge from Prado. They are
9 negative numbers, means the flow is going down. And
10 this is alternative 1-A, the rapid depletion; 1-B for
11 proportional stretching it out a little further. And
12 from a planning perspective, essentially the same. It's
13 saying that there's a fairly steep drop off or increase
14 in recharge out here for a while and this sort of
15 flattens out. You're seeing the dry and wet cycling
16 going on with respect to Watermaster replenishment and
17 availability of water. And these out years were sort of
18 some of the average numbers, saying 8600 to 9000, we
19 would expect.

20 Let's got the next line. This is the slide we
21 added to the final report that wasn't in the draft
22 report. What it does is it purports to show the safe
23 yield in the Chino basin over time for a hundred years.
24 Went back to the calibration period. And using the same
25 formula that Bud Carrol used to calculate safe yield, we

1 estimated safe yield in the calibration period. This is
2 the calibration period. This is the time and this is
3 the safe yield here going from 100,000 to 170. Starts
4 out here around 140-ish. Pops up. These are some
5 hydrologic issues. You're '78 to '83. This period
6 right here is the very wet. You see the basin yield
7 responding later is that water that got into the
8 unsaturated zone, began to dump into the what we will
9 call the saturated zone. Up here is the break between
10 the calibration period and the planning period. And you
11 can see that well into the calibration period coming
12 through here, we are starting to see something change.
13 This change in safe yield, you know, were talking is
14 140. So it may approach 120 in the future if it's
15 20,000 acre foot drop in time. This is a baseline.
16 What you are really thinking about, here we have a
17 400,000 acre feet water demand and supply situation. So
18 this 20,000 out of 400,000, to give it some context is
19 big in terms of yield perhaps, but in terms of the
20 overall water management picture, it's not that big.

21 The green and the blue lines here, they represent
22 what happens when we do Re-operation. And took a while
23 for that inflow to build change in discharge. And you
24 can see it build up here and getting larger and larger.
25 And sort of stabilizing as it does in the baseline sort

1 of flattening out. The reason why the yield changes is
2 because of the hydrology of the basin. It's lagged in
3 time. This development that occurred in the late
4 '70's, the big boom in the '80's, that changed the water
5 supply to the basin. Then we have another boom in the
6 '90's through, you know, about a year ago. And those
7 changes are recharge on the surface. And depending
8 where you were in the basin, that could be a ten to
9 thirty-year lag time when that recharge changes and you
10 see the change at water table. So that is why you see
11 this thing changing. I would say to think about this as
12 an average trend line through here, probably up around
13 here and dropping out here. This is probably like that.
14 These spikes here are anomalies. The reason you don't
15 see the spikes out here, this is the real deal. This
16 is, we start out our study back in 1930-ish and run
17 them. The recharge on the surface from then to the
18 present. Then when we go forward in time. We don't
19 know what the rainfall is. We have to come up with a
20 different concept of hydrology. So that hydrology
21 doesn't have the bumps in it like this. So what you
22 really expect to see is this around that line or these.
23 So we have an oscillation around there. So is there,
24 with respect to this change, we said it didn't -- sort
25 of laughable to talk about a material physical injury.

1 We are actually making it better. We have the right to
2 make this diversion from the stream because '69 Judgment
3 allows us to conserve all the water up above Prado. So
4 there's no material physical injury associated with
5 this.

6 All right. Subsidence. Okay. Let's go one
7 more. Earlier, I showed you a map of the Chino Basin,
8 had a little green area which was our area of subsidence
9 focus. And you can offer two conclusions really to
10 subsidence. Specific to that long term plan that has
11 been through the court discusses using what we call the
12 PA-7 piezometer.

13 THE COURT REPORTER: I'm sorry.

14 THE WITNESS: PA-7.

15 THE COURT REPORTER: And the term after
16 that.

17 THE WITNESS: Piezometer. I couldn't spell
18 it either. This is kind of complicated. So let me
19 break it down. This is again time, planning area top to
20 bottom. This is water level. This is elevation. The
21 is a long term plan that talks about keeping the water
22 level in the piezometer above 240 feet depth of water.
23 If you make it the elevation, you have to keep ground
24 water elevation above 400 feet, past that red line
25 there. So see, these blue lines here, you see, they are

1 all the baseline. And the two alternatives started out
2 the same point. Now you can't see, see Alternatives 1-A
3 or 1-B for a number of years as that piezometer looks
4 the same. There's not enough going on to separate them
5 yet. This up and down, you see, is high frequency.
6 This is the annual rise in water level in the spring and
7 the pump out in the fall. So it's going up and down on
8 annual basis, oscillating through time.

9 The other trends you see on there is we
10 assume that there will be a take from the dry year yield
11 account. We are taking some water out of storage for
12 them. And then after that period of putting it back in,
13 so you see it jump up. And then you see it kind of go
14 into a holding pattern. Part of the way we do recharge
15 in dry year yield is we assume it's all done by in lieu.
16 It can't be put in by wet water recharge. Strategically
17 in the past, we'd be doing it by asking them not to pump
18 their yield. That's how that water gets in. So you'll
19 see a put period. You see a hold period. So we put the
20 water in the Metropolitan. Then we're just doing our
21 replenishment, normal replenishment Watermaster does.
22 And then we have a put and we have a hold and a take.
23 And that's this long period. So the blue represents the
24 baseline. And 1-A is the green. And 1-B which is
25 almost identical at least by the time you get down to

1 this part of the basin. And all these cycles you see
2 that were well above what we call subsidence threshold.
3 So we don't expect any subsidence by doing Re-operation.
4 Remember, this is one that really ended up with 600,000
5 acre foot.

6 By the way, that alternative worked out, not
7 by design. It just did. So this is actually a lot more
8 significant hit to the basin. And we're still well
9 above this line down here. So, we expect material
10 physical injury here due to that. With respect to the
11 draw down, we saw in the other parts of the basin where
12 things are much more granular, we don't have the same
13 conditions. If we have a permanent change in storage
14 there, we probably will get some large scale, broad
15 scale but very small subsidence. And every ground water
16 basin that has ever been developed has that issue. It's
17 not unique to Chino. It's not unique to what we are
18 doing here. So it's not a problem for infrastructure.
19 It's not a problem for above-ground structures. Just
20 like the weather. Just the way it is.

21 THE COURT: Were you with us when we went
22 down to the prison and saw the site?

23 THE WITNESS: I was with you, yeah.

24 THE COURT: That's the area, that was the
25 area in Exhibit 1 that you were pointing to before?

1 THE WITNESS: Right. Since that time,
2 especially in the earlier time developing the interim
3 plan, all that has been arrested because we have been
4 operating at these levels except for when we did the
5 controlled experiments to actually cause subsidence.

6 THE COURT: Let me interrupt one more time
7 since we're running out of time here.

8 THE WITNESS: I'm almost done, sir.

9 THE COURT: In your revised model after you
10 worked with Mr. Scalmanini, did you run the figures
11 through assuming the additional 400,00 acre feet of
12 overdraft?

13 THE WITNESS: Talking just the 400 then?
14 Yes.

15 THE COURT: You did.

16 THE WITNESS: Yeah. We can probably get to
17 that. I think we are done with this; right?

18 MR. SLATER: Why don't we go there, Your
19 Honor.

20 THE COURT: All right.

21 THE WITNESS: Just keep going. Let's go to
22 the -- you have a few more to go. Okay. This is the
23 question. And to be clear, when we did the project
24 description, we assumed that inflow from the river.
25 That did not happen. You saw that chart. That didn't

1 materialize. So that created an unintentional extra
2 pull down of storage of about 200,000. So we redesigned
3 that schedule.

4 Next line, please. And this is what that
5 schedule looks like. Again, the desalter pumping didn't
6 change. The new yield did. And this is sort of a first
7 approximation. We just put in the recharge from, came
8 in from the river from Alternative 1-A. We kept that
9 the same and we reduced by a few years water available
10 for the rest of the desalting system. And so
11 replenishment instead of happening down here, starting
12 up here. You add these numbers across the bottom and
13 you get that number back. So the way we program the
14 model, all we do is put in production plans,
15 replenishment plan, turn it loose. So, we have run this
16 recently. We have not fully exhausted or mined the
17 information, but we did mine the information out of the
18 model to get hydraulic control answer to the question.

19 This report has maps like this. This is a
20 very complicated map. It shows these ground water
21 contours, again we keep talking about. But also has
22 these little, the little red lines with arrows on them.
23 These are the directional vectors or unit vectors.
24 Normally, vectors show velocity and direction; make them
25 long for faster velocity and small for short. But we

1 can't do that here because there's just too much
2 information that needs to be shown. This is a new
3 desalter well field, the Chino Creek Well Field. And in
4 comparison to the case that we see before Alternative
5 1-A, they were very close. And in 1-A and 1-B, when we
6 looked across here which is the weakest part of the
7 field in 2023, we had you know 15, 17 foot gradient, or
8 going downhill backwards if you look this way. And the
9 baseline, it was like 5 feet, 5 to 7 feet. At 2053, the
10 baseline was still about the same, a little bit, maybe 7
11 feet. But Alternative 1-A at 600, 1-B went down 22, 23,
12 24 feet. It's a big, much bigger hole. The hole grew.
13 In this case when we go to 2025, instead of 2053, the
14 hole grows again just like it did in the case with
15 600,000. And it's almost identical.

16 What we want to do, we want to have this --
17 I am calling this a robust hole. You don't want a
18 shallow hole. You want a deep hole. Reason is things
19 change. You know, God forbid, the City of Chino -- I am
20 going to pick on you guys. 'Cause if your well field
21 got contaminated with perchlorate, you had to shut down
22 and you needed a couple years off to get that together.
23 You had to go in there and supply. You've got to have
24 some strength to this well field, to this depression.
25 You also have to be able to monitor and measure it.

1 Difficult to monitor if it's shallow. But a more
2 pronounced depression is easier to measure.

3 The answer to your question, Your Honor, is
4 that we did recently do this. And we haven't mined it
5 out for the water level information. But you know my
6 basic conjecture is if there's no material physical
7 injury at 600,000, there's no material physical injury
8 at 400,000.

9 Q. BY MR. SLATER: Very good. Mark, in your
10 opinion, does the model results as well as your draft
11 and final report, and the testimony here today
12 reconfirm your earlier opinion that 400,000 acre feet
13 needs to be withdrawn from the basin in order to secure
14 hydraulic control?

15 A. Yes.

16 Q. Are there any specific risks associated with
17 implementing the Basin Re-op strategy and hydraulic
18 control that you discovered in the process of preparing
19 your report?

20 A. Well, in the process of preparing the report, we
21 didn't identify any risk per se. I would say concerns.
22 But we need to optimize the operation of the basin.
23 That's it.

24 Q. And in your view, would it be possible for there
25 to be an immediate course correction if the Court were

1 to preclude Watermaster from having access to controlled
2 overdraft in the event that we had material physical
3 harm pop up?

4 A. Yes.

5 Q. Okay. In your opinion, as an expert, and given
6 all your experience with Watermaster, would it be
7 prudent and reasonable for Watermaster to pursue and for
8 this Court to approve the Peace II measures?

9 A. Yes.

10 Q. Do you have anything else you wish to add?

11 A. I'm kind of going blank, Scott.

12 Q. Okay. That's fine. Can I ask you whether the
13 slides were prepared under your direction?

14 A. Yes.

15 Q. And this is a true and correct copy in front of
16 you that I have marked as Exhibit 1?

17 A. I don't have 1 in front of me.

18 Q. I'm sorry. Actually, I have 1. In other words,
19 this matches your slides?

20 A. Yes.

21 MR. SLATER: Okay. With that, Your Honor, I
22 move Exhibit 1 into evidence.

23 THE COURT: Any objection? Without
24 objection, they will be received into evidence.

25 MR. SLATER: Your Honor, it is now 4:45.

1 It's 4:35. I can, at the convenience of Your Honor, we
2 can give the court reporter a break, and I can summarize
3 in two or three minutes, or I can summarize now. I am
4 not sure whether any of the parties have anything
5 additional to say.

6 THE COURT: There might be some additional
7 questions --

8 MR. SLATER: Okay.

9 THE COURT: -- by different people. I have
10 one too.

11 What could you add to your report to make it
12 more user friendly based on the data that you now have
13 after applying the revised model?

14 THE WITNESS: User friendly. I need a
15 threshold to compare that to.

16 THE COURT: Has it struck you that there was
17 something that you should have put in there that you
18 didn't, or wasn't requested of you that maybe you should
19 have put in there?

20 A. I think the change in water level maps between
21 the baseline or/and the alternatives as separate maps
22 would probably be useful. Because I think the other
23 maps are misinterpreted based on my conversations with
24 people.

25 THE COURT: You have a question too?

1 MS. SCHNEIDER: I have several questions.

2 THE COURT: Okay.

3 CROSS-EXAMINATION

4 BY MS. SCHNEIDER:

5 Q. Thank you, Mr. Wildermuth. This has been
6 extremely helpful. Following up with Judge Gunn's last
7 question, would it be possible to prepare a technical
8 memorandum that includes the last slides on the state of
9 hydraulic control with what you're calling Alternative
10 1-A Prime or 1-A star?

11 A. That, upon direction, sure.

12 Q. Well, I would recommend that that will be
13 helpful.

14 A. I am just hesitating in committing my client's
15 funds, so.

16 THE COURT: How long, assuming that was
17 ordered, how long would it take you to prepare that
18 report?

19 THE WITNESS: For that alternative, it would
20 not take long, probably couple of weeks.

21 THE COURT: Any additional questions?

22 MS SCHNEIDER: Yes.

23 Q. BY MS. SCHNEIDER: When you were defining
24 hydraulic control, I believe you stated that it was
25 related to all flow from the Chino Basin into the Prado

1 and Santa Ana River. Is that correct, or is it trying
2 to keep flow from the Northern Chino Basin from getting
3 to the Santa Ana River?

4 A. This was negotiated very carefully with the
5 Regional Board. And what we have to do is make sure
6 that everything that we call Chino North does not make
7 it into the Santa Ana River. Chino North is, butts up
8 against the 566 elevation line of Prado Reservoir. So
9 we have to stop. That's the line of demarkation. We
10 stop there.

11 Q. If you were to look at your state of hydraulic
12 control, Alternative 1-A Prime, it's the same as other
13 similar figures. Some of those directional arrows come
14 past and go south to the Prado area?

15 A. Well, but this doesn't show you Chino North, so
16 it's maybe a little confusing.

17 Q. Could you explain the --

18 A. Sure.

19 Q. -- Chino North?

20 A. Chino North, we don't have the management zones
21 of the Chino North or Chino South broken up. But
22 certainly water, there's another piece of management
23 zone called Management Zone or Chino South Management
24 Zone through here. And water comes out of that
25 Management Zone and flows into the Prado Basin

1 Management Zone. Any water that's originating here
2 flowing below the well field coming back into the Basin
3 is we are exempt from that.

4 Q. You're pointing to the Santa Ana River?

5 A. Correct.

6 Q. On the ground water level contour maps that you
7 have, I don't know which maps to look at in particular.
8 But you have a series of maps that go to 2023, and then
9 to 2053. Are you suggesting that a new equilibrium is
10 created as those curves flatten out after 2023? Is that
11 part of your definition of the new equilibrium?

12 A. This is such a huge basin. We really have to be
13 careful with our terms. In this case, the Basin, the
14 way Watermaster operates today, they operate the Basin
15 as a gross balance. Because we put water in; we take
16 water out. We take out too much, we put back in. We
17 don't always put it back in exactly how it comes out.
18 So sometimes a plumbing hole is created or in case of in
19 lieu recharge event, lulls are moving around
20 operationally. But they are operating in balance,
21 broadly. And it's I think when we use the word
22 equilibrium, what we are referring to is we are
23 operating in balance. No places are crashing. The
24 levels aren't crashing anywhere. And they aren't rising
25 anywhere.

1 And when we stop the Re-operation scheme at end
2 of 2030 we're going back to replenishment, we may have
3 some issues locally in balance because we can't get
4 exactly you know, recharge in the areas where levels
5 might be going down. But over enough time, we would be.
6 Volumetrically, in the broad sense, we are in balance.
7 There may be, from time to time, some local places where
8 we are out of balance a little bit. But equilibrium in
9 my mind is we are operating pursuant to the Judgment.
10 We recognize what the yield is. There is no overdraft,
11 over some period of time. By period of time, it's just
12 we have periods of time where we don't have enough
13 replenishment water. We use the storage in the basin
14 storage a while, and then we backfill it when it's
15 available, and we catch up.

16 Q. I have questions about what could be included in
17 the Recharge Master Plan update in the future?

18 A. Sure.

19 Q. You sort of said I think that river inflow and
20 safe yield changes are really the same. I didn't
21 understand that. Could you expand on that? Does it, is
22 it addressed in the Recharge Master Plan process when
23 you try to deal with safe yield declines over time?

24 A. Well, the first part of your question, if given
25 all of the other hydrologic inputs to the basin, the

1 only thing that is changing is the river. It makes
2 sense that the river, the new river inflow is equal to
3 the new yield created by Re-operation. I mean there's
4 no place for the water to come from except for the
5 river. So it's not an accident. It is the source of
6 the increased yield. As to how that plays into the
7 Recharge Master Plan, they have to have some knowledge
8 of the yield or an estimate of the yield to do the
9 master plan. And I don't know that you know we have to
10 fingerprint it with their name, Santa Ana River. But
11 they do have to have target yield that they can work at
12 so they can make sure that when they compare their
13 projected production to it that they know how to make up
14 the difference.

15 Q. So you will take calculated new yield into
16 account in figuring out safe yield?

17 A. Yes.

18 Q. And you can do that every year; isn't that
19 correct?

20 A. It can be done every year.

21 Q. And if the safe yield is projected to decline, if
22 you don't do it every year, are you going to be
23 recharging in accordance with the declining safe yield?

24 A. You know, this is a legal question. I will take
25 a crack at it. And that is yes. We have to operate

1 pursuant to the Judgment. So if the water is available,
2 we have to take it.

3 Q. I didn't mean to ask a legal question. In order
4 to calculate how much replenishment obligation there is,
5 do you have to take into account the declining safe
6 yield every year?

7 A. To the extent if you know it, and I am sure you
8 do.

9 Q. And you can calculate it every year?

10 A. It could be calculated every year. It would be
11 onerous, but it can be done.

12 Q. When you redid Table 76-A?

13 A. Okay.

14 Q. The column on new yield, did you take into
15 account just the 72, or 3000 of new yield that you're
16 now calculating to be available over the period 2030
17 when you figured out, when you went and figured out the
18 hydraulic control picture? Is that -- Did you take the
19 400, and that's all?

20 A. That's it.

21 Q. So --

22 A. I mean it's almost exact.

23 Q. So the column with new yield in it, that's now in
24 accordance with your figure 7-7?

25 A. Yes. And I would call that a first

1 approximation. Because we, you do the -- once we logged
2 it 400, that curve might shift a little bit too. So it
3 needs a bit of iteration.

4 Q. So when you took an initial look at whether you
5 achieved hydraulic control stopping at 400, did you take
6 into account that looking backwards now before this
7 year, there has been credit taken for new yield where
8 there wasn't any new yield?

9 A. No, we didn't. It is not done. There's a little
10 bit of a debit that needs to be created.

11 Q. That's shown on your table 7-3?

12 A. I'd have to go back and look. I am pretty sure it
13 is.

14 Q. So is that, is number, is the volume of water
15 that you credited for new yield previously, does that
16 have to be deducted now from the 400?

17 A. I would say so, yes. That's sort of an
18 administrative legal decision to do that.

19 Q. But that leaves less than the 400 available now;
20 correct?

21 A. It's a small quantity of water.

22 Q. Would you expect that to affect the outcome in
23 terms of the retaining hydraulic --

24 A. No, it's really small.

25 Q. You were asked by Mr. Slater here at the end

1 whether you had identified any risks of going forward
2 with hydraulic control Re-operation. Can you identify
3 the tradeoffs that Watermaster may be making by going
4 forward with hydraulic control Re-operation?

5 A. I struggle with the question. I'll take a crack
6 at it. When we first began to look at this, we were
7 also looking at issues related to storage in the basin
8 for had to do with the question, you know, the safe
9 storage issue we identified back during the OBMP. And
10 one of the questions that came up was how much storage
11 do we need to have in the basin to assure ourselves that
12 we can have a safe yield, whatever it is, 140,000. So
13 we started looking at the modeling components, recharge
14 components and doing some stochastic analysis of those,
15 and came to conclusion we had way more water in storage
16 than was necessary to maintain the yield. I don't have
17 that information in front of me. It has been years
18 since I looked at it, probable five. And so our
19 conclusion was while we were also trying to, we're
20 figuring out that we can get more yield if we lowered
21 storage, was that maybe that was even a stranded asset.
22 You could probably imagine a 100 year drought, you might
23 have wished you had that 400,000 way out in the future.
24 I would imagine something like that might be in
25 consideration, similar to trading off. It's not a trade

1 off. It's a policy issue, not science or engineering
2 issue.

3 Q. Are you studying now future storage and recovery
4 programs?

5 A. We haven't signed a contract to do it yet. We're
6 trying to figure out how we actually participate in it.
7 But it is anticipated that we will be doing a modelling
8 and assisting in the EIR for an expansion of the
9 existing 100,000 acre foot dry year program to 150,000.

10 Q. And in your opinion now, would you expect
11 hydraulic control Re-operation to interfere with being
12 able to expand the dry year yield program?

13 A. That's a really great question. Ultimately
14 depends how long this water is held. Every time
15 somebody asks me this question, that is how I answer it.
16 If you put it in, forgot about it, may be an issue. If
17 you were going to put it in and exercise it, I don't
18 expect it to be a problem. And for larger program,
19 you're going to have to have hydraulic control because
20 you'd never be able to store the water without pretty
21 horrendous environmental issue on the river. So
22 hydraulic control actually doesn't preclude storage
23 programs. It's a requirement of them.

24 Q. One last question. Mr. Slater asked about the
25 possibility that you could make course corrections if

1 necessary. And you said you could. What would be a
2 course correction?

3 A. I would have to, I would almost need a
4 hypothetical posed as to what the problem was to be able
5 to respond. My general sense is that if we have
6 replenishment facilities to go, if we have that capacity
7 and we have to stop, then we will just replenish. If we
8 blow out the bottom of the river for some reason, then
9 we're going to have this horrendous cost we will have to
10 pay. So those are --

11 Q. One last question. When you calculated hydraulic
12 control effects of basin Re-operation, did you calculate
13 change in storage in the basin overall?

14 A. Yes.

15 Q. Can you tell me what the change in the storage
16 would be if you went ahead on the baseline, and what the
17 change in storage would be if you go ahead on 1-A prime?

18 A. Yes.

19 Q. Would you tell me what those are?

20 A. Well, let me back up. I can't tell you what the
21 change will be in the basin off the top of my head.
22 That information is in the report. It can be mined out
23 of the report, probably Appendix F, I guess from the
24 budget tables.

25 Q. Could you do that mining and provide an answer as

1 to what the delta storage, the change in storage would
2 be with the baseline, and then with 1-A prime?

3 A. Sure.

4 Q. Okay.

5 A. In theory, the difference of those two is the
6 400,000. Should be very close. That's why I can answer
7 and I said yes. That was 400,000.

8 Q. Do you think that would help complete the picture
9 of what is being proposed if you were to provide those
10 data?

11 A. If it's needed, absolutely.

12 MS. SCHNEIDER: Thank you.

13 THE COURT: Anything else from anybody?

14 Due to the hour, I think I am going to have
15 to ask ~~you~~ to do a written argument.

16 MR. SLATER: Your Honor, if I have 30
17 seconds to just close, I see the hour. I just wanted to
18 point out that we would be completely supportive of
19 providing the information that the referee has
20 requested.

21 To the extent that we need to talk about
22 schedule, we were going to propose that we would prepare
23 written comments within a week, and to provide them to
24 Your Honor along with any points and authorities that
25 were relevant.

1 Because of the urgency suggesting to moving
2 forward, the regional board permit compliance, the
3 Western issue with regard to desalters and the financial
4 questions associated with the assessments, we really
5 would like to, if possible, seek approval subject to
6 however many leashes the Court feels is appropriate in
7 the order itself in addition to what limitations we have
8 already placed on ourselves.

9 With that, Your Honor, we thank you for your
10 endurance, the referee, and Mr. Scalmanini and
11 Ms. Schurr as well. Thank you.

12 THE COURT: Regarding notice of any Court's
13 ruling, can we notify you by a fax since time is of the
14 essence?

15 MR. SLATER: Yes, Your Honor.

16 THE COURT: And you can disseminate any
17 Court's orders to the other parties involved.

18 MR. SLATER: Yes, Your Honor.

19 THE COURT: Is there anything else from
20 anyone?

21 We will be in recess.

22 MR. SLATER: Thank you, Your Honor.

23 (Proceedings adjourned.)
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

SUPERIOR COURT OF THE STATE OF CALIFORNIA.

FOR THE COUNTY OF SAN BERNARDINO

REPORTER'S CERTIFICATE

RV 51010

STATE OF CALIFORNIA)
)
COUNTY OF SAN BERNARDINO)

I, Gail Greenlee, CSR, Official Reporter of the Superior Court of the State of California, County of San Bernardino, do hereby certify that the foregoing, Pages 1 through 129, inclusive, constitute to the best of my knowledge and belief a true and correct transcript from my shorthand notes so taken for the oral proceedings reported by me in this matter on November 29, 2007.

Dated this 11th day of December, 2007.

 C-8647

Official Reporter