

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26

SUPERIOR COURT OF THE STATE OF CALIFORNIA

FOR THE COUNTY OF SAN BERNARDINO

DEPARTMENT NO. S-32

HON. JOHN P. WADE, JUDGE

CHINO BASIN MUNICIPAL WATER)
DISTRICT, et al.,)
)
Plaintiff,)
vs.)
)
CITY OF CHINO, et al.,)
)
Defendants.)

NO. RCVRS 51010

REPORTER'S TRANSCRIPT OF ORAL PROCEEDINGS

February 2, 2009

APPEARANCES:

(See next page)

REPORTED BY:

BETTY J. KELLEY, C.S.R.
Official Reporter, C-3981

COPY

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26

APPEARANCES :

FOR THE WATERMASTER: BROWNSTEIN, HYATT, FARBER &
 SCHRECK
 BY: SCOTT S. SLATER
 BY: MICHAEL FIFE

FOR CITY OF CHINO: JAMES E. ERICKSON
 Of Counsel to City Attorney

FOR CITY OF CHINO HILLS: JENKINS & HOGIN
 BY: JOHN C. COTTI

FOR CITY OF POMONA: LAGERLOF, SENEAL, GOSNEY &
 KRUSE
 BY: THOMAS S. BUNN III

FOR AGRICULTURAL POOL OF REID & HELLYER
THE CHINO BASIN: BY: STEVEN G. LEE

FOR MONTE VISTA WATER MC CORMICK, KIDMAN & BEHRENS
DISTRICT: BY: ARTHUR G. KIDMAN
 BY: TRAM T. TRAN

FOR CUCAMONGA VALLEY WATER BEST, BEST, & KRIEGER
DISTRICT: BY: JILL N. WILLIS

FOR THREE VALLEYS MUNICIPAL BRUNICK, MC ELHANEY & BECKETT
WATER DISTRICT: BY: STEVEN M. KENNEDY

FOR CHINO BASIN WATER BRUNICK, MC ELHANEY & BECKETT
CONSERVATION DISTRICT: BY: STEVEN K. BECKETT

FOR CITY OF ONTARIO: NOSSAMAN LLP
 BY: FREDERIC A. FUDACZ

FOR CITY OF UPLAND AND RICHARDS, WATSON, GERSHON
WEST END CONSOLIDATED BY: STEVEN R. ORR
WATER COMPANY:

FOR INLAND EMPIRE CIHIGOYENETCHE, GROSSBERG &
UTILITIES DISTRICT: CLOUSE
 BY: JEAN CIHIGOYENETCHE

FOR WESTERN MUNICIPAL JOHN J. SCHATZ
WATER DISTRICT: Attorney at Law

REPORTED BY: BETTY KELLEY, C.S.R.
 Official Reporter, C-3981

1 SAN BERNARDINO, CALIFORNIA, MONDAY FEBRUARY 2, 2009

2 9:30 a.m.

3 DEPARTMENT NO. S-8

HON. JOHN P. WADE, JUDGE

4 (Betty J. Kelley, C.S.R., Official Reporter, C-3981.)

5
6 THE COURT: Chino Basin Municipal Water District
7 versus City of Chino. Appearances, please.

8 MR. SLATER: Yes, your Honor. Scott Slater,
9 S-l-a-t-e-r, on behalf of Watermaster.

10 MR. FIFE: Michael Fife, F-i-f-e, on behalf of
11 Watermaster.

12 MR. KIDMAN: Arthur Kidman on behalf of Monte
13 Vista Water District.

14 MR. KENNEDY: Steve Kennedy on behalf of Three
15 Valleys Municipal Water District.

16 MR. COTTI: John Cotti on behalf of Chino Hills.

17 MR. BECKETT: Steven Beckett for Chino Basin
18 Water Conservation District.

19 MR. LEE: Steven Lee on behalf of the
20 Agricultural Pool.

21 MR. FUDACZ: Fred Fudacz, F-u-d-a-c-z, on behalf
22 of Ontario.

23 MR. ERICKSON: Jim Erickson on behalf of the City
24 of Chino.

25 MR. CIHIGOYENETCHE: Jean Cihigoyenetche on
26 behalf of Inland Empire Utilities Agency.

1 MS. TRAN: Tram Tran on behalf of Monte Vista
2 Water District.

3 MS. WILLIS: Jill Willis on behalf of Cucamonga
4 Valley Water District.

5 MR. ORR: Steven Orr on behalf of the City of
6 Upland.

7 MR. SCHATZ: John Schatz on behalf of Western
8 Municipal Water District.

9 MR. BUNN: Thomas Bunn on behalf of the City of
10 Pomona.

11 THE COURT: All right, counsel. Just one word of
12 future advisement. When you address the Court, make sure
13 you give me your last name so that the court reporter will
14 be able to accurately reflect who is talking to the Court.

15 This hearing is an information-gathering hearing for
16 the purpose of all of us. So whether you participate or ask
17 questions or whatever, we'll need for you to identify
18 yourself as the hearing goes on, except for Mr. Slater and
19 Mr. Fife, who we know who they are.

20 Did you gentlemen wish to identify yourself?

21 MR. PARK: Patrick Park, Chino Basin Watermaster.

22 MR. CHIANG: Wen-Hsing Chiang.

23 MR. SLATER: Your Honor, for the convenience of
24 the Court and counsel, we have a request if they might
25 inhabit the jury box during the hearing.

26 THE COURT: That's certainly a good idea. If we

1 can accommodate them, that's a good idea.

2 If any counsel wants to sit in the jury box, that's
3 fine, you can do that. It might make it easier, sir.

4 All right. The first order of business is we have a
5 motion for approval of the intervention of Agua Capital
6 Management to the overlying or non-agricultural pool.
7 Apparently, there's no opposition. Does anyone have
8 opposition to that?

9 All right. That's approved.

10 All right. It's Mr. Fife, isn't it, sir?

11 MR. FIFE: Yes, your Honor.

12 THE COURT: Mr. Fife, are you prepared to go
13 forward?

14 MR. FIFE: Your Honor, Mr. Slater will open for
15 us. Thank you.

16 THE COURT: Mr. Slater, do you want to call a
17 witness?

18 MR. SLATER: Your Honor, if I may take a couple
19 of moments, we did transmit to your Honor a proposed outline
20 as we promised to do at the November 13 hearing. That
21 outline provides a summary of the witnesses and the areas of
22 testimony that we expect to go forward with today.

23 If it would please the Court, Watermaster counsel
24 would like to take up to 15 minutes, and no more, to provide
25 a contextual outline of what the witnesses are going to say
26 and how it relates to the responsibilities under the

1 judgment.

2 THE COURT: Okay, sir.

3 MR. SLATER: So with that, your Honor, on
4 November 13th, when we met, the Court identified three
5 general areas that were of primary interest to the Court.
6 They included the physical solution. They included the
7 recharge component and the progress towards implementing the
8 OBMP, which is the Optimum Basin Management Program, and
9 then lastly, as related to Watermaster's performance
10 obligations, the subject of governance.

11 My job here today is to try to provide a high level
12 structural overview of the Watermaster responses to those
13 issues consistent with the stipulation and in the context,
14 again, of that outline.

15 In addition, what I want to do is focus on the root
16 obligations that gave rise to the Watermaster performance
17 obligations under the judgment, the Peace Agreement and the
18 Peace II Agreement that are the subject matter of the
19 hearing today.

20 If I can indulge the Court for a second, the judgment
21 itself is the starting place for all of our discussions.
22 The judgment governs the ground water basin, which is within
23 a water shed of roughly 235 square miles. It is the primary
24 water supply to about 1.2 million people, and if the supply
25 were monetized, it would have a value of several billions of
26 dollars.

1 There are hundreds of parties that are bound by the
2 judgment, several dozen of which remain active today. And
3 what is of particular interest to Watermaster and the
4 parties in the court is the fact that this judgment is a
5 hybrid. The judgment was entered in 1978 as a judgment by
6 stipulation.

7 But what is interesting about this judgment, your
8 Honor, is that it also contained an element where it seated
9 jurisdiction to the Court to monitor the ongoing activities
10 of Watermaster and the parties in complying with the
11 judgment.

12 The Court, in its focusing on the question of the
13 progress of the physical solution, raises the question of
14 what do we mean by the physical solution? The California
15 Supreme Court, in the Barstow versus Mojave case, tells us
16 that essentially, physical solution is a pragmatic or a
17 practical method of maximizing the reasonable and beneficial
18 use of water within the basin while not causing harm to
19 prior and paramount rights.

20 The judgment, however, while grabbing ahold of that
21 traditional notion, introduces two -- introduces another
22 notion as related to that traditional notion of a physical
23 solution.

24 The traditional notion of physical solution as
25 applied in ground water basins in Southern California
26 customarily is that each of the parties is entitled to

1 produce ground water consistent with what their right may be
2 to, in fact, overproduce and then to place a burden on the
3 Watermaster to go out, procure replacement water supplies
4 and bring it into the basin to keep the basin whole.

5 But the second component is this interest in
6 flexibility. And the Court will find this in paragraphs 41
7 and 42 of the judgment in which the physical solution is
8 described. Thereafter, paying deference to the historical
9 notions of replenishment, the judgment recites an obligation
10 to maintain flexibility, and in that vein, the judgment
11 vests the Watermaster with the responsibility to develop an
12 Optimum Basin Management Program.

13 So if we fast forward to the time that the judgment
14 was implemented, or I guess go back in time to '78, the
15 preconditions in the basin were that there was a downward
16 decline in ground water levels. The judgment is imposed and
17 essentially halts that decline.

18 But between 1978 and the mid to late nineties, there
19 was no formal adoption of an Optimum Basin Management
20 Program. The Watermaster functioned, again as traditional
21 Watermasters did, essentially allowing the parties to
22 produce water and then procure replenishment water from
23 whatever source available, typically the Inland Empire
24 Utility Agency.

25 But in the mid to late nineties, it was observed that
26 conditions in the basin were changing. Modeling techniques

1 were becoming more improved. There were changes in land
2 use, urbanization. There was water quality degradation and
3 supply patterns had effectively shifted. These reasons,
4 among others, went to a process that was initiated to start
5 an OBMP.

6 The testimony will reflect that effectively, four
7 basic goals were adopted under the original OBMP, and that
8 was to enhance water supply reliability, to protect and
9 enhance water quality, to enhance ground water management
10 efforts, and lastly, to come up with a financing vehicle to
11 do all these things because all these goals are lofty, if we
12 can't figure out who is going to pay for them, they won't
13 happen.

14 So with those four goals in mind, the parties, under
15 the leadership of the Watermaster, began a process to
16 negotiate the structural agreements to allow an Optimum
17 Basin Management Plan to move forward. That agreement takes
18 the form of the Peace Agreement approved by the Court and
19 executed by the parties in 2000.

20 Attached to that agreement is an Optimum Basin
21 Management Program Implementation Plan. It had nine
22 elements. Each of those elements will be presented to the
23 Court today, and through witnesses, we'll provide a snapshot
24 in time as to where we are in the progress of each of the
25 elements.

26 Once the plan was adopted, parties began making

1 significant investments, moving forward. The Court will
2 note and hear today that serious investments were made, for
3 example, in the desalting facilities in the central-southern
4 end of the basin.

5 As we move forward, the modeling continued to improve
6 and conditions continued to change. It became apparent to
7 Watermaster that there was an opportunity to adopt and
8 pursue a new management strategy, which was in fact a
9 refinement of earlier elements of the OBMP.

10 This effort was generally paraphrased as hydraulic
11 control, which, in practical terms, means it was an effort
12 by the parties to halt the discharge of ground water from
13 the Chino Basin into the Santa Ana River and thereby allow
14 the basin to be managed more holistically and to enhance the
15 prospect of using recycled water.

16 In order to accomplish this result, once again,
17 agreements needed to be reached among the parties. This
18 again gave rise to the Peace II documentation and an
19 amendment to the OBMP.

20 So the original nine program elements were amended to
21 account for the implementation of this basin management
22 strategy known as hydraulic control. That was the subject
23 of the Court hearing in November, and ultimately, the
24 Court's approval of the Hydraulic Control Peace II measures
25 in December of 2007.

26 The Court granted Watermaster and the parties their

1 approval in December subject to certain limitations. And
2 Watermaster prevailed on the Court to approve the hydraulic
3 control plan and the related measures on condition that it
4 continued to make progress with its recharge element.

5 Because there was a fear among the stakeholders and
6 the Court that if progress was not made on the recharge
7 element, that the effort to pursue hydraulic control would
8 leave Watermaster with a deeper, bigger hole and a thirst
9 which could not be satisfied through water supply
10 replenishment if it didn't take proper measures to be ready
11 for the day when that occurred.

12 So over the past 12 months, Watermaster has been
13 engaged in an ongoing process to develop a Recharge Master
14 Plan, to include input from the parties, and it has embarked
15 on that process and you'll hear testimony today which
16 describes where Watermaster is in and the prognosis for the
17 future.

18 We're going to turn to my partner, Michael Fife, to
19 walk each of the witnesses through their testimony and
20 demonstrative exhibits.

21 But before I do that, your Honor, we're lucky today,
22 I believe, to have nine members of the Watermaster Board. I
23 would like to take the opportunity to identify them to you,
24 your Honor, and then make them available if your Honor has
25 any questions of them individually. Most of them will be
26 here through the day, but they did want to be here and let

1 your Honor know that they understand they serve at your
2 pleasure, and they take their jobs very seriously.

3 I'd like to start with Chairman of the Board Ken
4 Willis.

5 Ken, will you stand.

6 Ken is elected from the City of Upland.

7 MR. WILLIS: It's my third term on the City of
8 Upland, your Honor. Prior to that, I've also served on the
9 Santa Ana Regional Water Quality Control Board for a period
10 of years, and in addition, served in the California State
11 Water Resources Control Board in Sacramento, which is the
12 board that handles all water right issues in the State of
13 California.

14 In addition to that, I served on the San Antonio
15 Water Company Board of Directors, as well as the Westend
16 Consolidated Board of Directors, and I also serve on the
17 Advisory Committee to the Inland Empire Utilities Agency.

18 I enjoy working with water issues, your Honor, and
19 it's a privilege to be able to represent the people we were
20 elected to do so for.

21 THE COURT: Nice to meet you, sir.

22 MR. WILLIS: Thank you, sir.

23 MR. SLATER: We also have Vice-Chair Robert Kuhn
24 from the Three Valleys Municipal Water District.

25 MR. KUHN: Good morning, your Honor. My name is
26 Bob Kuhn. I was elected to Three Valleys Municipal Water

1 District and was appointed to serve on the Chino Basin
2 Watermaster about five years ago. I think I'm going into my
3 fifth year.

4 Before that, before I was -- the last 12 years I've
5 been on the Three Valleys Municipal Water District. Before
6 that, I was involved with city government as an elected city
7 councilman and mayor of Glendora. I found water very
8 interesting. And when I gave that up for two years, I do
9 have an insurance agency in the day that I do as a real
10 daytime job. This is really part-time, but I find it very
11 interesting. I found water interesting and that's how I got
12 elected to Three Valleys to represent the City of Glendora
13 and San Dimas.

14 THE COURT: Good morning, sir.

15 MR. SLATER: Next, James Curatolo, from --
16 representing the Appropriator Pool and Cucamonga Valley
17 Water District.

18 MR. CURATOLO: Good morning, your Honor. I have
19 served as an elected official on the Cucamonga Valley Water
20 District Board of Directors for almost 10 years, and I was
21 appointed to the Board of Watermaster about a year ago and
22 I'm also a firefighter. That explains my tardy response
23 here today. I just got off duty this morning -- sorry --
24 but this is very important to us for the whole region. It's
25 an honor to serve on Watermaster, and I'm certainly looking
26 forward to working with you as well as the other members of

1 the -- the other member agencies as we move forward.

2 Good morning.

3 THE COURT: Good morning, sir.

4 MR. SLATER: Paul Hoffer from the Agricultural
5 Pool.

6 MR. HOFFER: If you'll excuse me, your Honor,
7 I'll stand here so I don't have to go past everybody.

8 Paul Hoffer. I represent agricultural and have since
9 the board's new inception. I represent the Agricultural
10 Pool on the Board of Directors.

11 Just as another point, your Honor, I'm immediate past
12 president for the Chino Basin Water Conservation District,
13 where I also still serve as a board member there.

14 THE COURT: Good morning, sir.

15 MR. SLATER: Mike Whitehead, the President of San
16 Gabriel Water Company.

17 MR. WHITEHEAD: Yes, your Honor, Michael
18 Whitehead. This is my second opportunity to serve on the
19 Watermaster --

20 THE COURT: Sir, could I get you to move outside
21 the pole so the Court reporter can see you. Sometimes it's
22 easier for her to take you down if she can see you.

23 MR. WHITEHEAD: Yes. This is actually the second
24 term that I've had the opportunity to serve on the Chino
25 Basin Watermaster. My day job is as President of San
26 Gabriel Valley Water Company and Fontana Water Company here

1 in San Bernardino County.

2 I also have served on the Main San Gabriel Basin
3 Watermaster for a number of years, and I presently serve as
4 a director of the San Gabriel Basin Water Quality Authority
5 of the San Gabriel Valley.

6 In addition to that, I'm an officer and director of
7 Fontana Union Mutual Water Company. It has its own
8 extensive rights in the Chino Water Basin and wells there.

9 Good morning.

10 THE COURT: Good morning, sir.

11 MR. SLATER: Geoffrey VandenHeuvel on behalf of
12 the Ag Pool.

13 MR. VANDEN HEUVEL: Good morning, your Honor.
14 Geoffrey VandenHeuvel, and I'm a dairy farmer in Chino.
15 I've been on the Watermaster Board since the inception of
16 this new nine-member board. I serve as a director on the
17 Chino Basin Water Conservation Board, also.

18 THE COURT: Good morning, sir.

19 MR. SLATER: Judge Charles Fields from the
20 Western Municipal Water District.

21 MR. FIELDS: Good morning, your Honor. My name
22 is Charlie Fields. I spent 27 years as an attorney with the
23 firm of Best, Best & Krieger in Riverside, and I sat on the
24 bench in Riverside for almost 15 years. And since my
25 retirement from that, I got elected to the Western Municipal
26 Water District Board. I've been on that board for two

1 years.

2 When I was with Best, Best & Krieger, I was not a
3 water attorney; however, the senior partner, Jim Krieger
4 used to draft a bunch of us to serve on water cases, and I
5 was introduced and constantly impinged upon for that
6 service. So I have had a moderate amount of water
7 experience.

8 THE COURT: Good morning, Judge.

9 MR. FIELDS: Good morning.

10 MR. SLATER: Michael Camacho on behalf of the
11 Inland Empire Utilities Agency.

12 MR. CAMACHO: Good morning, your Honor. I'm
13 recently elected as of this last November to represent
14 Inland Empire Utilities Agency, Division Five. I have also
15 recently been appointed to the Chino Basin Watermaster Board
16 as well.

17 My day job, I've been doing design and engineering
18 oversight program projects, construction management for
19 large infrastructure projects and school bond programs, and
20 I'm looking forward to getting involved in the water issues
21 and working with the Court.

22 THE COURT: Good morning, sir.

23 MR. CAMACHO: Good morning.

24 MR. SLATER: And last, Robert Bowcock on behalf
25 of the Non-Ag Overlying Pool.

26 MR. BOWCOCK: Good morning, your Honor. My name

1 is Bob Bowcock. I represent the Non-Ag Overlying Pool,
2 which is predominately the industrial producers of water in
3 the Chino Basin. I come from a public works background and
4 am now a private water resources consultant. I have been
5 serving at the pleasure of the Los Angeles Superior Court as
6 a Main San Gabriel Watermaster for 20 years and have been
7 active on the Chino Basin Watermaster starting my sixth
8 year.

9 THE COURT: Good morning, sir.

10 MR. SLATER: Your Honor, we wanted to take the
11 opportunity to introduce them because, again, they do serve
12 at your pleasure and they assume really three roles within
13 the Watermaster function:

14 There is the responsibility for quasi-legislative
15 matters, executing agreements, drafting resolutions and
16 implementing policies.

17 There's a quasi-adjudicative responsibility in which
18 they make findings about harm on other parties or to the
19 basin.

20 And lastly, there's an administration responsibility
21 that they have oversight control over, which is carried out
22 through staff.

23 So with that, I think I'm happy to answer any
24 questions your Honor may have. Other than that, we'll turn
25 it over to Michael to run through the specific witnesses.

26 MR. KIDMAN: Excuse me, your Honor. Art Kidman.

1 I'm wondering if we could have Mr. Slater briefly review the
2 procedural stipulations that the parties agreed to in order
3 to make this hearing work a little more informatively for
4 you and avoid contention.

5 THE COURT: Do you want to go ahead and do that?
6 It's fine with me.

7 MR. SLATER: Yes, your Honor. And I apologize to
8 counsel if that was what was expected.

9 The parties, again, in the transmittal of January 26,
10 included a series of procedural stipulations which were
11 thought to be very important. They were intended to avoid
12 surprise testimony, recognizing there wasn't an opportunity
13 for depositions, and we agreed to those procedural
14 guidelines that are contained at the back of the
15 transmittal.

16 There are -- In sum, there are nine total. They
17 speak for themselves, and so I dare not paraphrase. I think
18 that the primary focus is that what Watermaster is intending
19 to do today is not present the position of any specific
20 party.

21 We are presenting the people most knowledgeable about
22 the performance obligations under the OBMP. We are offering
23 them. It is Watermaster's view that they provide a
24 representative synopsis of the status. No party is
25 supporting or subscribing to the evidence that Watermaster
26 is offering.

1 Is that sufficient?

2 MR. KIDMAN: Thank you.

3 MR. SLATER: Thank you, your Honor.

4 THE COURT: Okay.

5 I say this to all of you and this is off the cuff. I
6 don't have any prepared remarks concerning this. I just
7 want to say that I don't have any agenda here. My job, as I
8 see it and always have seen it, is the resolution of
9 disputes in a lawful manner. And I don't -- If I don't have
10 a dispute in front of me to resolve -- and I don't at this
11 time -- so I don't have any decision to make.

12 What I'm trying to do, obviously, there's much more
13 expertise in this area in this room than I will probably
14 ever have, so what I'm trying to do is to get the facts and
15 figures down and the plan for the future in such a way that
16 information is disseminated and everyone can then, if they
17 have concerns and if they think that their concerns are not
18 being addressed, they can bring it to the Court and we'll
19 try to address them as we go along to see, as we progress,
20 if we can avoid disputes that need to be resolved and we can
21 all be on the same path to making sure that the present and
22 the future is productive for the citizens in which we all
23 serve in this area. Because there cannot be anything more
24 important than the preservation and continued production of
25 water facilities for people.

26 So I can't think of anything more important than

1 that, and I'm sure you all share that common feeling. And
2 for the people that you represent and are concerned about
3 directly, your constituency, whoever that might be, you can
4 rest assured that these hearings are not to further any
5 agenda that I might have for any one of you or any party or
6 any constituency. It's simply to inform and give every one
7 of you and your constituencies opportunity to put their
8 input in, ask questions and become better informed. Okay?

9 Do you want to start, sir?

10 MR. FIFE: Thank you, your Honor. We'll call
11 Jeff VandenHeuvel.

12 Your Honor, while Mr. VandenHeuvel is taking the
13 stand, a housekeeping issue that we did not address in the
14 stipulation. We'll have a number of graphics to show
15 throughout the day. They're purely for illustrative
16 purposes, and they sometimes make it easier to understand
17 what the witness is talking about. We had not intended to
18 offer these into evidence. We can if it would be your
19 pleasure. We do have hard copies that we could offer to you
20 if you want to mark them as we go or we can simply offer
21 them all in at once at the end.

22 THE COURT: Whatever graphic exhibits that you
23 have that are being used in your presentation, then I'll
24 just take them in and make them part of my record without
25 making them formal exhibits.

26 MR. FIFE: Thank you, your Honor. So we'll

1 dispense with marking things as we go. That will save a lot
2 of time.

3 THE COURT: There's no need for that at this
4 time.

5 MR. FIFE: Thank you, your Honor.

6 THE COURT ATTENDANT: Stand here, face the clerk
7 and raise your right hand, please.

8 GEOFFREY VANDEN HEUVEL,
9 called as a witness by the Watermaster, was sworn and
10 testified as follows:

11
12 THE CLERK: You do solemnly state the testimony
13 you shall give in this matter shall be the truth, the whole
14 truth and nothing but the truth, so help you God?

15 THE WITNESS: I do.

16 THE COURT ATTENDANT: Please be seated.

17 Will you state and spell your name for the record,
18 please.

19 THE WITNESS: Geoffrey VandenHeuvel,
20 G-e-o-f-f-r-e-y, V, as in Victor, -a-n-d-e-n capital
21 H-e-u-v-e-l.

22 THE COURT: Go ahead, sir.

23
24 DIRECT EXAMINATION

25 BY MR. FIFE:

26 Q Good morning, Mr. VandenHeuvel.

1 A Good morning.

2 Q Can you tell us how long you've lived in the Chino
3 Basin.

4 A Since 1975.

5 Q And what is your occupation?

6 A I am a dairy farmer.

7 Q And how long have you been engaged in that?

8 A Since 1979.

9 Q How long have you been involved with the Chino Basin
10 Watermaster?

11 A Since about that time, 1980 or so as a producer.

12 Q And when were you appointed to the Watermaster Board?

13 A I believe that was '98 when the new nine-member board
14 was established.

15 Q Are you involved with any other water-related entity
16 in the Chino Basin?

17 A Yes, I'm a director on the Chino Basin Water
18 Conservation District.

19 Q And are you familiar with the Chino Basin governance
20 structure?

21 A You mean Chino Basin Watermaster governance
22 structure?

23 Q Yes.

24 A Yes, I am.

25 Q And are you familiar with the Chino Basin governance?

26 A Yes.

1 Q In your opinion, what is important about the
2 relationship between the judgment and the governance
3 structure of the Watermaster?

4 A The relationship between the judgment and the
5 governance structure is important, but in order to
6 understand that, I think we have to kind of back up to why
7 there's a judgment.

8 And as I understand it, what you had in the Chino
9 Basin is an area that has been intensively farmed and
10 occupied for -- since the late 1800's. And what became
11 clear as time passed, by the 1960's and early seventies, was
12 that more water was being extracted out of the Chino Basin
13 ground water basin than was being replenished. And the
14 evidence for that was dropping in water levels, and it was
15 beginning to be a major concern and something needed to be
16 done about that.

17 The folks that were impacted by that, which was
18 everyone, decided to use a legal tool to get a handle on
19 this problem and took the form of a lawsuit. And all of the
20 producers of water in that basin were a party to that
21 lawsuit.

22 And what emerged out of that was a judgment. And in
23 that judgment, all of those folks who had rights to produce
24 water were accounted for in that judgment. They were
25 grouped into three broad categories based on similarity of
26 use.

1 You had agricultural producers who had an overlying
2 right that was tied to their land. You had some industrial
3 users that had wells, and they had overlying rights but they
4 were not ag, and so that was a group. And then you had
5 appropriators who basically pump water out of the ground to
6 sell it.

7 And so the governance structure of Watermaster that
8 emerged from the judgment was one that organized the
9 producers into these three broad categories: the overlying
10 non-ag pool for the industrial folks, the overlying ag pool
11 and then the appropriators.

12 And within those pools, each one of those pools has a
13 certain amount of autonomy. They meet -- and this has
14 continued to this day -- they meet and they decide the
15 affairs of their pool. And then to do the business of
16 Watermaster, these pools feed into an Advisory Committee,
17 which is really the policy-making body of the Watermaster.

18 The Advisory Committee has representatives on it from
19 the ag pool, from the overlying non-ag and from the
20 appropriators. And there was a division of the political
21 weight of the Advisory Committee, based to some extent on
22 rights but not completely.

23 The agricultural pool, as a pool, was granted 20
24 percent of the vote in the Advisory Committee. The
25 overlying non-ag was granted five percent of the vote, and
26 the remaining 75 of the voting power on the Advisory

1 Committee was allocated out to the various appropriators
2 based on their share of the safe yield.

3 And so the Advisory Committee -- so really where the
4 Watermaster governance structure is a bottom-up structure,
5 ideas, concern originate in the pools, and if it needs
6 Watermaster to make a decision, that flows then to the
7 Advisory Committee, the Advisory Committee handles the issue
8 and, hopefully, produces a consensus.

9 But if there's a vote, there's a way to appropriate
10 that vote, apportion that vote. And then the Watermaster
11 Board is actually over the Advisory Committee but not in a
12 sense that most people would understand a board to be. The
13 power -- the actual power of the board is very limited. If
14 a measure passes the Advisory Committee with a 50 percent
15 plus one vote, but something less than 80 percent, that is
16 when the board has some ability to make a decision.

17 If a motion passes the Advisory Committee with an 80
18 percent or more vote, it becomes a mandate on the
19 Watermaster Board, and they really don't have discretion to
20 turn it down. They can send it back to the Advisory
21 Committee if they don't agree with it and they'd like them
22 to consider some other things, but it becomes a mandate to
23 them.

24 So there is -- so this governance structure was set
25 up to meet the needs of all of the producers who were going
26 to be bound by this judgment.

1 Q Thank you, Mr. VandenHeuvel.

2 Are you familiar with the details of the transition
3 of the board from the Chino Basin Municipal Water District
4 to the current nine-member board?

5 A I have an understanding, and there's no doubt others
6 who would have a different perspective or a more detailed
7 understanding. But as Mr. Slater said in his opening, the
8 judgment was entered into in, I believe, around 1977, and
9 the immediate concern of the parties and the Watermaster was
10 overdraft. And the Watermaster did a very effective job of
11 arresting or stopping overdraft by keeping very good tabs on
12 what everyone was producing and buying replenishment water
13 when production exceeded the safe yield. And for 20 years,
14 that -- the Watermaster did a pretty able job of addressing
15 that one concern.

16 But with regards to the development of an Optimum
17 Basin Management Plan -- and you've got this marvelous
18 resource here in the Chino Basin with all this potential.
19 In terms of actually taking advantage of this potential,
20 beyond just stopping overdraft, there was very little
21 progress that was made. And some of the -- and I think
22 there was a general sense the Watermaster Board, in the
23 first 20 years of the judgment, was the Chino Basin Water
24 District Board.

25 Chino Basin is now called the Inland Empire Utilities
26 Agency. But it was assigned to be the Watermaster Board for

1 that period of time. And as I understand it, they did not,
2 in terms of oversight policy, there was not a lot of energy
3 put in by the Chino Basin Water District Board in terms of
4 Watermaster efforts. They had their responsibilities to
5 deal with all of the things that were part of their
6 jurisdiction. The Watermaster stuff, as I understand it,
7 typically happened at the end of the meeting. It was pretty
8 pro forma. Whatever the Advisory Committee brought to them
9 to be essentially rubber stamped was done and there was not
10 a lot of energy put behind Watermaster stuff.

11 Now, there was some controversy. Some folks at Chino
12 Basin Water District did play a very important role in the
13 first desalter, and there were -- and my knowledge of this
14 is more general than specific -- but suffice it to say there
15 were folks that were upset about the way some of those
16 things were handled, and we got to a point in time toward
17 the late 1990's where the Advisory Committee actually
18 exercised their discretion and voted to change who was the
19 Watermaster Board and to take it away from Chino Basin.

20 And as I understand it -- and then I was not
21 appointed at that time, but I was, you know, familiar with
22 the people who were involved -- there was a lot of back and
23 forth what should replace the Chino Basin Board and there
24 were a lot of various ideas and nobody could really agree.
25 And my memory is we beat up that issue for almost a couple
26 of years with different ideas, lots of fighting and

1 bickering and not any progress being made.

2 And then finally, an agreement was put together to
3 form the nine-member board with more of a broader
4 representation of various stakeholders and a separate
5 office. That happened, too. The Watermaster staff actually
6 physically moved out of the building of the Chino Basin
7 Water District, created their own identity, a nine-member
8 board was established, and that's really when I came on
9 board as a representative of agriculture. I don't know what
10 more I can say on that.

11 Q Now, there's one point of view that the reason for
12 the transition from Chino Basin Municipal Water District to
13 the current nine-member board is that the water district
14 ignored the policy mandates of the Advisory Committee and
15 that in recommending the nine-member board, the producers
16 were actually seeking greater control over the Watermaster.
17 Could you comment on that?

18 A Yeah. You know, there's a lot of different opinions
19 about history and, you know, I don't doubt that there are
20 folks that have that opinion. I think the facts speak for
21 themselves.

22 The fact of the matter was we didn't make much
23 progress. We had a lot of potential, and certainly, the
24 mandates were -- you know, the opportunity to do it -- that
25 were in the documents, they weren't carried out so we needed
26 to do something different. And, you know, how that

1 transpired was, you know, was difficult but, you know, the
2 folks on the Chino Basin Water District Board were elected
3 primarily by their constituents to deal with the water and
4 sewer issues that they ran on. The Watermaster was not
5 their primary function. And so consequently, there was not
6 much progress that was made.

7 Q And so then can you explain how, in your view, the
8 Watermaster reconciles its duties to fulfilling the
9 instructions from the judge and the judgment with its duty
10 to carry out the will of the producers as expressed through
11 the pools and the Advisory Committee?

12 A Well, there's always attention -- and I might add
13 that, you know, when the nine-member board was constituted,
14 Judge Gunn gave this nine-member board a very short leash.
15 He appointed the nine-member board, and I believe he gave us
16 26 months to produce an Optimum Basin Management Plan. And
17 he said, "If you don't, I'm going to take authority -- I'm
18 going to take the Watermaster Board function away from you
19 and I'm going to give it to the State Department of Water
20 Resources." So he put some teeth in that order and so that
21 was an important measure to focus our thoughts on what could
22 be done.

23 In terms of the tension between the producers and the
24 judgment, you know, I think it's important to remember that
25 while the Watermaster process uses democratic principles,
26 it's not a democracy as much as we think of like, for

1 example, the other type of agencies that we have in society.

2 When a person votes for a city council member, they
3 basically execute their right as a citizen and they've
4 delegated this person to represent their interest on the
5 city council.

6 In the Watermaster, nobody's really given up their
7 rights. And so the structure that's been created is one
8 that has -- I mean it really is a beast when you look at all
9 of the various moving pieces. But it requires a high level
10 of consensus to get anything done, and that's probably
11 appropriate because everyone in that process continues to
12 have rights. And so you're trying to find solutions to
13 problems that -- where you have to respect everyone's rights
14 and so there's a tension.

15 Folks who are large in this process tend to think
16 that maybe they should have more weight. Those who perceive
17 themselves to be less large in terms of share of water
18 rights, really still have rights, and those rights can't be
19 ignored, so there's always a tension.

20 And in this process that's been created with a
21 nine-member board, really the large producers have the major
22 part of the weight in the Advisory Committee. The
23 Watermaster Board is a much broader representative group.
24 But as I described earlier, the Watermaster Board actually
25 doesn't have a whole lot of authority to independently act
26 on its own. So there's a tension between producers and the

1 board.

2 Q So you've touched on this a little bit but could you
3 explain in more detail how the political process of
4 developing consensus serves to protect everyone's rights and
5 how this relates to a majority rule situation?

6 A Well, because of the -- you know, it's a grass roots
7 kind of bottom up structure, everything has to start in the
8 pools, and in the pools is where you have the broadest
9 participation. Any producer can show up at a pool meeting
10 and can participate in that pool process. And then those
11 pools, what flows out of the pools goes to the Advisory
12 Committee, and then the Advisory Committee has to produce a
13 motion.

14 And what they tend to want to do is to work out their
15 issues there so that they could express a unified front to
16 the Watermaster Board. So there's a large insight of trying
17 to work this all out in this process. There's lots of
18 opportunity to do that. But ultimately, you do need people
19 that are interested in get -- in cooperating and trying to
20 make progress.

21 And when -- the rest of today we're going to hear
22 about the tremendous amount of progress that's been made
23 over the last 10 years. And I don't think it's necessarily
24 the system that produced that but the system didn't stand in
25 the way of producing that. We've had a pretty remarkable
26 group of people from a broad diversity of backgrounds and

1 interests who have been pretty ably lead. Watermaster staff
2 and consultants and legal provided some real good
3 leadership. And so I mean it does come down to people, in
4 terms of being able to make progress, and we've been blessed
5 with some great folks, and the process itself hasn't stood
6 in the way.

7 And because there's a lot of ways to block things,
8 you know, you can't just pass something with a four to three
9 vote. It just doesn't work at Watermaster. That will work
10 on a city council. That will not work in Watermaster. The
11 structure won't allow for that type of a situation. And so
12 yeah, it's a different model from what we're conventionally
13 used to and what we think of as a democratic process.
14 Watermaster really is not a true democratic process.

15 Q And so then -- Strike. How do the producer parties
16 then maintain the necessary independence to carry out the
17 judgment? Can a majority change the rights of a dissenting
18 party?

19 A I don't believe the majority can ever change the
20 rights of the minority party. I mean if someone ends up not
21 believing that they've been treated fairly or that their
22 rights are being impinged, they always have that opportunity
23 to come to the board. The judges may take continuing
24 jurisdiction.

25 It's in everyone else's interests, knowing that, to
26 try to resolve all legitimate concerns of any party. So

1 there's a high degree of incentive to try to produce a, you
2 know, win-win situation. And there's a lot of moving pieces
3 in Watermaster so, you know, while one particular area may
4 favor -- be more beneficial for one party than another,
5 there are other areas where that can be compensated.

6 And when you look at the last 10 years of history and
7 the pretty elaborate plans that have been in place between
8 the OBMP and Peace I and Peace II, you see that there has
9 been a lot of that kind of trading that has gone on. And at
10 the end of the day, we've been able to produce stuff that's
11 really positive for everyone.

12 But the process really demands that because a
13 minority party cannot be run over illegitimately. If that
14 party has a legitimate grievance, you know, everybody knows
15 it and they may very well find a sympathetic ear in the
16 judge. So you need to take care of those concerns.

17 Q Were you on the board in 2005 when the board
18 authorized legal counsel to request a five-year extension of
19 the term of the board?

20 A Yes, I was.

21 Q And are you familiar with the commitments made by the
22 board with regard to governance at that time?

23 A You know, probably not as familiar as I should have
24 been. I am now familiar with those, yes.

25 Q And are you aware that the commitment of the board to
26 form a governance committee was conveyed to the Court and

1 became a part of the rationale for the Court's extension of
2 the term of the board?

3 A I'm now aware of that.

4 Q And in your view, has the board satisfied its
5 commitments?

6 A Well, I think it's technically satisfied that
7 commitment. As I remember that whole governance issue, when
8 we kicked off the discussions for Peace II, Peace I had been
9 accomplished in about 2000. There were a number of issues
10 that were left to be resolved later because, for one reason
11 or another, they were -- we were going to learn more or
12 whatever over time. And so there were some fairly
13 significant -- when the Peace Agreement was implemented, the
14 OBMP and the Peace Agreement in 2000, we began to carry that
15 out, but we knew that in about 2005, we would need to
16 revisit some issues.

17 Leading up to the discussion that we were going to
18 have as the parties in 2005, there was some grumbling about
19 the governance structure. As I recall, the Watermaster
20 Board did not want to get involved in those discussions. We
21 had a lot of issues and we essentially instructed our
22 counsel, which was facilitating the discussions between the
23 stakeholders, to leave that issue out in terms of
24 governance. "Let's see if we can resolve everyone's
25 concerns without addressing that."

26 We were able to do that. It took quite a while. We

1 produced the Peace II Agreement, very aggressive part of the
2 physical solution. A lot of infrastructure has to be built
3 or was going to be built and contemplated a lot of different
4 things. And the governance issue, it seemed like just
5 sitting as a board member, I didn't really hear that that
6 was still an issue.

7 Then subsequently at that same time we filed that
8 Peace II document with the Court, we also needed to get
9 reauthorized because our authority as a board was for five
10 years, and that was expiring. And as part of the
11 reappointment motion, there was that commitment to do a
12 committee on governance.

13 Frankly, you know, when -- once the Court approved
14 the Peace II, we got busy working on hydraulic control and
15 there was an enormous amount of work that needed to go into
16 how to build the third desalter, where to go, how to finance
17 it, all that, and it slipped through, at least my mind, that
18 we had an obligation out there to do something about
19 governance.

20 That got brought to our attention, frankly, mid-2008
21 in some other correspondence that that was a commitment that
22 we had made that hadn't really been fulfilled. And we
23 realized that yes, that had slipped through our fingers.
24 And so we sent the issue back to the pools and asked for
25 advice.

26 And the pools discussed this as part of their meeting

1 agendas and had no specific advice for Watermaster. And
2 then that went to the Advisory Committee, and the Advisory
3 Committee took action to take no action. They brought it to
4 the Watermaster Board without any advice on what to do with
5 governance.

6 So as a board member, receiving this report that this
7 issue had been at the pools and at the Advisory Committee
8 and had not produced any advice to us at all, I made a
9 motion at the board, because I felt that we did make -- we
10 did make a commitment to form a committee to do something on
11 governance, and so I made a motion at the board that as a
12 board, we would appoint ourselves as the committee and then
13 we would simultaneously report out that no change to the
14 status quo was necessary because we got no advice from
15 anyone on that. And so there really wasn't any point in --
16 you know, we're driven by our constituents. If there's no
17 issue amongst our constituents, we really don't have a
18 reason to go do something different.

19 So we passed that motion as a board. We basically
20 appointed ourselves as the committee and immediately
21 reported out that there would be no change.

22 So technically, I think we have complied with that
23 provision. You know, there doesn't seem to be any
24 interest -- there wasn't any interest. If there is
25 interest, the one thing about the Watermaster process, it's
26 very transparent. Anybody can play. And those who have

1 ideas on this always have the opportunity to bring them
2 forward through the process and have them discussed and
3 considered. So that opportunity still exists.

4 Q Now, one point of view is that the motion you made
5 which you've just described to us was more of a repudiation
6 rather than a fulfillment of the commitment the Watermaster
7 made to the Court. How do you explain that?

8 A I just described what my thinking was and how I view
9 the issue. I don't think it's a repudiation at all. I
10 think it's a demonstration that the process that we have,
11 while not perfect, has produced results that we could be
12 proud of. So I think there's a really, really high bar for
13 anybody who proposes changes to this governance structure to
14 demonstrate that whatever they're proposing is going to
15 produce better results.

16 THE COURT: Sir, Mr. Slater, in your opinion,
17 now, just your opinion, what did Judge Gunn want from the
18 Governance Committee and what was he seeking to accomplish
19 by that requirement?

20 MR. SLATER: Your Honor, my opinion is, to have
21 my recollection refreshed by reviewing your order, is that
22 the Court has distinguished between rationale in describing
23 what the Watermaster Board had committed to and the ordering
24 provisions. There was no requirement from the Court in the
25 order that a committee be established.

26 The second thing, your Honor, is that again, my

1 opinion is that being the general counsel for Watermaster,
2 that Mr. VandenHeuvel describes the motion that came to the
3 Watermaster Board by action of the Advisory Committee. The
4 commitment that was made by the board in this instance to
5 examine the governance question came to them on an 80
6 percent mandate from the Advisory Committee. So it was --
7 the board was prepared to transmit the recommendation to the
8 Court to reestablish the nine-member board.

9 The Advisory Committee sent a mandate to the board.
10 So it was our view that counsel and staff's view both that
11 having had the issue identified by some of the moving
12 parties, that we referred the matter back to the individual
13 pools for their input and for input from the Advisory
14 Committee.

15 Recognizing that the matter had come to the board by
16 action of the Advisory Committee and this time the Advisory
17 Committee making no recommendation, the board properly
18 looked at the matter and said that the recommending body was
19 no longer requesting any specific action. And so
20 consequently, it is my view that the board had complied with
21 the Court's order.

22 THE COURT: Do you think that Judge Gunn was
23 seeking to just put this up for people to put their input in
24 to see if someone wanted to desire a change in the way that
25 the governance worked for the Watermaster Board and the
26 advisory pools? Do you think that that was his motivation?

1 MR. SLATER: I believe, your Honor, that Judge
2 Gunn and the parties have a specific process to address
3 governance on a five-year basis. The stipulation among the
4 parties makes reference to that in paragraph nine. Your
5 Honor's appointment of the nine-member board historically
6 has been for a five-year period.

7 So it was my understanding that the parties would
8 contribute to a process where Watermaster would take input
9 and then ultimately a recommendation would be made in
10 connection with the reappointment of the nine-member board.
11 As director, VandenHeuvel has stated the parties are welcome
12 at any time to bring to the Court's attention or to the
13 Watermaster Board the desire to pursue a different approach
14 to governance.

15 THE COURT: Do you remember concerns, prior to
16 the appointment of the -- the reappointment of the board for
17 the next five-year term, do you remember people bringing up
18 concerns about the governance process of the board itself?

19 MR. SLATER: Yes, your Honor, and I'd like to --
20 if I might, the word governance to the Watermaster family
21 means different things. And as I was mentioning in
22 my opening remarks, you have Watermaster, which is really
23 taking on responsibilities to do three different things:
24 Quasi legislative, the adjudicatory responsibility and then
25 administration.

26 And so for some, it is the Byzantine process that Mr.

1 VandenHeuvel has described, that is, that needs to be
2 corrected. For some, and I believe it is my opinion that
3 the root of the suggestions at that time were grounded in
4 the makeup of the nine-member board and whether a specific
5 interest should be more heavily weighted.

6 And lastly, there's a view that Watermaster's
7 administration should be more customized to specific
8 programs. So how Watermaster deploys resources to carry
9 things out has been an issue. But to the best of my
10 knowledge, none of that was ultimately articulated in any of
11 the processes.

12 THE COURT: All right. That answers my question.
13 How about that?

14 Go ahead, Mr. Fife.

15 Q (BY MR. FIFE:) So we just have one more question,
16 Mr. VandenHeuvel. In general then, do you think the
17 governance needs to be addressed at this time? Even if the
18 Watermaster process isn't broken, do you think it could
19 function better?

20 A You know, I'm a pragmatic person, and the system
21 works and we've produced a lot of good stuff. We've got a
22 lot of things to do to serve our constituents, and I don't
23 think, you know, changing seats around or whatever in the
24 governance structure is going to make, you know, make it
25 better. So no, I think we've got other things to do with
26 our time and leave that issue be.

1 MR. FIFE: Your Honor, that's all the questions
2 that we have for this witness.

3 THE COURT: Any other attorneys wish to ask any
4 questions of this witness?

5 Okay. Seeing no hands, you may step down, sir.

6 We'll be in recess, ladies and gentlemen, until 10
7 minutes to 11.

8 (Recess.)

9 THE COURT: Mr. Fife, call another witness,
10 please.

11 MR. FIFE: Mr. Manning, if you could come to the
12 witness stand, please.

13 Your Honor, while he's taking the stand, these next
14 three witnesses are intended to give an overview and context
15 both of the physical Chino Basin and institutionally, and
16 then we'll also provide just a few minutes of basic detail
17 about how Watermaster administers things, its budget, its
18 assessments, just to give you an overview of things.

19 THE COURT: All right.

20 THE COURT ATTENDANT: Face the clerk, raise your
21 right hand.

22 KENNETH R. MANNING,
23 called as a witness by the Watermaster, was sworn and
24 testified as follows:

25

26 THE CLERK: You do solemnly state the testimony

1 you shall give in this matter shall be the truth, the whole
2 truth and nothing but the truth, so help you God?

3 THE WITNESS: I will.

4 THE CLERK: Thank you.

5 THE COURT ATTENDANT: Please be seated.

6 Will you state and spell your name for the record,
7 please.

8 THE WITNESS: My name is Kenneth R. Manning.
9 K-e-n-n-e-t-h, R., Manning, M-a-n-n-i-n-g.

10
11 DIRECT EXAMINATION

12 BY MR. FIFE:

13 Q Mr. Manning, what's your position in the Chino Basin?

14 A I'm the Chief Executive Officer.

15 Q The Chief Executive Officer of --

16 A The Chino Basin Watermaster.

17 Q And how long have you held this position?

18 A About four and a half years.

19 Q Could you describe other things in your background
20 relevant to ground water basin management?

21 A Yes. My background, I have a Bachelor's Degree in
22 Architectural Design and a Masters in Public Administration.
23 I have for 20 years managed and owned an architectural
24 engineering firm that did work in the San Gabriel Valley,
25 Chino Valley and areas east.

26 I also spent 12 years on the Upper San Gabriel Valley

1 Municipal Water District Board and 12 years on the San
2 Gabriel Basin Water Quality Authority Board acting as its
3 first chairman and one of the designers of the system that
4 we use still today to clean up the Super Fund Site in the
5 San Gabriel Basin.

6 Q So based on this experience, could you describe
7 ground water basin management in Southern California
8 generally and how the Chino Basin fits into that?

9 A Yeah. I had a slide prepared. It's on the board
10 behind me. It shows the ground water basins within the
11 Southern California area, primarily within the Metropolitan
12 Water District territory, and you'll see from the slide
13 there are a number of different basins that are listed
14 there. Some of them are very small. Some of them are
15 medium sized, and there's a number of them that are larger.

16 The Chino Basin, which is shown there, is one of the
17 larger basins in Southern California. Of the basins that
18 you see there, most of those basins are managed and they're
19 managed with a variety of different systems.

20 As we move throughout the State of California, there
21 are literally hundreds of small, medium and large ground
22 water basins throughout the State of California.

23 As we move out of Southern California, most of those
24 basins are not managed at all. There are a number of them
25 that are managed by the Department of Water Resources. Many
26 of those tend to be agricultural in nature.

1 And then within those that are managed, there are
2 essentially two different structures. There are those that
3 are managed through the adjudication process similar to the
4 Chino Basin. And then there are those that are managed
5 through a governance structure that is similar to a council
6 or special district.

7 And Chino Basin Watermaster is, of all of those, as
8 far as the adjudications go, it was not the first
9 adjudication and I think it took advantage of a lot of the
10 adjudications that preceded it in terms of how it was
11 structured.

12 Q Could you characterize the Chino Basin Watermaster in
13 comparison to other watermasters in Southern California?

14 A Yeah. Kind of building off of what Mr. Slater said
15 in his opening remarks, the Chino Basin Watermaster is not a
16 simplistic Watermaster. Many of the functions of a basin
17 manager is very simplistic in that they keep track of the
18 water in and water out and sort of the basic accounting
19 structure.

20 Within the Chino Basin Watermaster, we have a more
21 three-dimensional structure to us. Besides the acting
22 function and keeping track of what's going on between the
23 pumpers and also in the replenishment area, we also have a
24 planning function and an oversight function within the Chino
25 Basin which gives it a dimension that most Watermasters or
26 most governance structures over basins do not have. And it

1 has done -- I think it helped us quite a bit over the years
2 in being able to deal with a lot of issues that we've had.

3 Q Could you explain in more detail what you mean by the
4 oversight function of the Watermaster?

5 A Yeah. The oversight function built into what
6 Watermaster does is the material physical injury analysis.
7 So as Watermaster is presented with projects and/or
8 decisions, we have to do a material physical injury
9 analysis. And so we have our engineers go through that
10 process, and what we're looking for there -- and it will be
11 described in further detail with Mr. Wildermuth, I think, in
12 his testimony -- is we're looking for whether or not the
13 activity that's going to be called upon is going to affect
14 anybody else within the basin to its detriment.

15 And through that process, we have the ability to be
16 able to make decisions about projects that are in the best
17 interests of the basin in general.

18 The other is monitoring. And Watermaster has an
19 extensive monitoring program. You're going to hear a lot
20 about that in future testimony. But I have -- and I have
21 said this throughout Southern California, as I talk to
22 organizations and at conferences, is that most basins, in
23 fact, when they talk about monitoring, they're looking at
24 their basins in one dimension. I characterize the Chino
25 Basin as being in high def, and you'll understand why when
26 you see a lot of the presentations that are going to come a

1 little bit later.

2 Q And what do you mean by the planning function of
3 Watermaster?

4 A Well, the Watermaster, through the Optimum Basin
5 Management Program, has the ability to work with the parties
6 in developing programs that fit the needs of the basin for
7 future generations.

8 So as we start looking at whether it be subsidence
9 issues, replenishment issues within the basin, we are
10 looking for how we are going to fill -- fulfill the demand
11 of the OBMP and the nine elements that we're going to be
12 having. And I think those nine elements are behind me now.
13 The rest of the testimony that you're going to be getting
14 today is going to be a refinement talking about how those
15 nine elements are being dealt with.

16 As you look at them, you'll notice there's a great
17 deal of overlap between them, and there is. There is some
18 overlap, so we have grouped those together because the
19 strategies or the programs that we've developed within
20 Watermaster over the last 10 years sometimes will deal with
21 more than one of the nine elements.

22 Q Now, you mentioned in your answer replenishment
23 activities of Watermaster. Could you tell us what those
24 are?

25 A Well, Watermaster is charged with replenishing the
26 overdraft within the basin, the water that has been pumped

1 out of the basin in excess of water right. And so
2 Watermaster, in conjunction with the Inland Empire Utilities
3 Agency, the Water Conservation District and the County of
4 Los Angeles, we have a four-party agreement wherein we use
5 facilities that were developed by all of those different
6 agencies to recharge water into the basin primarily using
7 water imported from the Metropolitan Water District off the
8 Rialto pipeline, which is at the northern part of our
9 district.

10 You're going to see maps that show where that
11 pipeline is and the different turnouts are. But using the
12 river system, as they were developed long ago, and
13 additionally then fortified with concrete, and the
14 facilities that were developed by the Conservation District,
15 Inland Empire, and the County of San Bernardino, we have
16 improved those in order to be able to have an effective
17 replenishment program that meets our needs today. I'll use
18 the word today.

19 Q Could you briefly explain the land use developments
20 in the Chino Basin that led to the OBMP?

21 A Yeah. I have a series of slides that I think -- I
22 have found to be best to illustrate what has happened in the
23 Chino Basin over the last 100 years that helped get us where
24 we are today. And if I could walk through those with you, I
25 would like to do so.

26 First of all, the first slide is what the basin

1 looked like in around the year 1900, 1905. This reflects
2 what Mendenhall found in the Chino Basin as he made his
3 expedition through this area. And the arrows on this map
4 show the flow of water from the north to the south.

5 You'll also note in the area that we now would call
6 Chino, Chino Hills and parts of Pomona, that area was a
7 marshy land. It was very wet and water flowed and water
8 rose in that area naturally. And this was before
9 populations really inhabited much of most of what we call
10 today the Chino Basin.

11 The next slide please. The next slide moves us all
12 the way to 1933, and you'll see the gray areas are the
13 urbanization. So on the far left or the western part of the
14 basin, you'll see Pomona. The central part of the basin is
15 a little bit of Ontario and Upland. This area that's
16 urbanized in the south is what was Chino. And then to the
17 far eastern portion is Fontana.

18 But what you'll also see is the dark green is the
19 irrigated agriculture. The gold is citrus, and there's a
20 large -- lot of citrus crops in the Chino Basin going back
21 from early 1900's all the way back into the 1940's.

22 And then you've got the non-irrigated or vineyards,
23 in general, in the light green. What I like to point out
24 here is in 1933, there was only one significant dairy in the
25 Chino Basin, and that's in the Fontana area. That's the
26 gold area on the far eastern portion of the basin.

1 Could we go to the next map, please. 1949. So this
2 now represents post-war Chino Basin, and we're seeing an
3 increase in population now in the Chino Basin. Those urban
4 areas I described earlier are starting to expand. We're
5 starting to see a few more irrigated crops, a little less of
6 the non-irrigated crops coming in.

7 Next slide, please. 1957. This was about the time
8 that if you lived in the Lakewood or in the Lakewood, Pico
9 Rivera, Hawaiian Gardens, those areas, you were living
10 amongst a lot of dairies.

11 And during that period of time, there was a lot of
12 movement amongst governmental agencies to talk dairies into
13 moving out of that particular geographic area and moving
14 somewhere else. So about this time, 1957, you're starting
15 to see a lot more migration of dairies so you're starting to
16 see the gold start to trickle into the southern portion of
17 the basin. Still some in the north but mostly into the
18 southern area amongst the irrigated agriculture.

19 Next, please. 1963. Now, you're starting to see the
20 major migration of populations moving from the eastern
21 portions of Los Angeles County now into the Chino Basin, the
22 western part of San Bernardino County. There's still at
23 this point in time a lot of vineyards in the area in the
24 center, and you're seeing a little less of the irrigated
25 crops and still a few more dairies starting to come in. The
26 center area is -- The Ontario Airport is right in the

1 center. Chino Airport is in the southern, geographically
2 where you are.

3 Next, 1975. Again, now we're starting to see the
4 real push into Chino Basin of population growth. So now
5 we're starting to see agriculture be devoted strictly to the
6 south except for a few vineyards still sprinkled throughout
7 the areas of Cucamonga and Fontana. But areas of Upland,
8 Ontario, Chino, Montclair, Pomona, those areas are all
9 starting to develop very heavily and becoming very dense in
10 1975.

11 What's interesting is this is also the same period of
12 time that we're talking about the judgment starting to be
13 implemented. So many of the discussions about the judgment
14 are going on right at this moment in time. So you're
15 starting to see the pressures in terms of the increase in
16 population within the Chino Basin starting to impinge upon
17 agriculture and the tensions that are starting to grow that
18 are leading towards the judgment in the Chino Basin.

19 Next. 1984. Again, the same kind of phenomena.
20 You're seeing areas in the south of the 60 Freeway now start
21 to develop with houses. The Riverside County area, which is
22 the eastern portion of this area, is now starting to become
23 highly urbanized, what we call Eastvale and Jurupa, is
24 becoming highly urbanized. Fontana is really starting to
25 grow very heavily in the 1980's, most of it driven by the
26 industry brought to the Ontario International Airport.

1 Nextly, 1990. Now we're starting to see massive
2 migration from Orange County and from L.A. County into the
3 Chino Basin, and you're still seeing a heavy agriculture in
4 the south part of the basin.

5 Now, in the 1960's, 1970's and early 1980's, Chino
6 Basin was a highly dense dairy cow area. At one point in
7 time I've been told that the Chino Basin was the highest
8 density of dairy cattle anywhere in the world.

9 Approximately 400,000 cattle inhabited the Chino Basin,
10 mostly in that southern portion of the basin. And so you
11 can imagine what it was like. You're going from a highly
12 urbanized area in the northern part of the basin to a much
13 highly-developed agricultural community in the south.

14 Now, the year 2000. And here we are just a few years
15 ago, and we still have a dairy and irrigated agricultural
16 presence, but for the most part, the rest of the basin has
17 been urbanized and highly populated. The population in the
18 year 2000 in this basin is approximately 750,000 people.

19 It's estimated that the population will grow to about
20 1.2, 1.25 million by the year 2030, and you'll see most of
21 the agriculture in the south will be gone.

22 Watermaster does not believe that agriculture will
23 ever be gone completely from the Chino Basin. There will
24 always be some in the south, and there's a lot of reasons
25 why, but we think there's always going to be agriculture
26 within the Chino Basin.

1 So this gives you a good idea of the kinds of
2 pressures that have been moving into the Chino Basin and
3 what have led to many of the projects that have been
4 evolving through the Chino Basin and why it's important that
5 we do those.

6 The desalters in the south, as a strategy to dealing
7 with the conversion of pumping by agriculture. At one time,
8 agriculture was pumping 80,000 acre feet of water in the
9 south creating a hydraulic barrier by itself of water moving
10 into Orange County. As that agriculture starts to move out
11 and that pumping in the south starts to desist, then we have
12 a problem because water's now moving into the Santa Ana
13 River and then down to Orange County, and they don't like
14 that. It's not very good water.

15 So we have to come up with strategies, artificial
16 ways of keeping that same barrier in place and making that
17 water available to people within the Chino Basin. And
18 hence, we have the Desalter Authority, which started back in
19 the 1990's.

20 So that kind of gives you an idea of what's happened
21 in the Chino Basin over the last 100 years.

22 MR. FIFE: Thank you, Mr. Manning.

23 Your Honor we have no further questions for this
24 witness.

25 THE COURT: Any questions anyone wants to make?

26 All right. You may step down, sir.

1 MR. FIFE: Mr. Wildermuth, if you could come up.

2 THE COURT ATTENDANT: Face the clerk and raise
3 your right hand, please.

4 MARK WILDERMUTH,
5 called as a witness by the Watermaster, was sworn and
6 testified as follows:

7
8 THE CLERK: You do solemnly state the testimony
9 you shall give in this matter shall be the truth, the whole
10 truth and nothing but the truth, so help you God?

11 THE WITNESS: I do.

12 THE CLERK: Thank you.

13 THE COURT ATTENDANT: Please be seated.

14 Would you state and spell your name for the record,
15 please.

16 THE WITNESS: Mark Wildermuth, M-a-r-k,
17 W-i-l-d-e-r-m-u-t-h.

18 MR. FIFE: Sorry, your Honor, just a moment while
19 we find his presentation.

20 THE COURT: All right.

21

22 DIRECT EXAMINATION

23 BY MR. FIFE:

24 Q Mr. Wildermuth, what's your occupation?

25 A My occupation is I'm an engineer and the Chairman of
26 Wildermuth Environmental.

1 Q And what is Wildermuth Environmental?

2 A Wildermuth Environmental is a consulting firm that I
3 founded in 1990 to do environmental engineering with an
4 emphasis in water.

5 Q And how long have you been involved in the Chino
6 Basin.

7 A For 29 years.

8 Q And where is the Chino Basin?

9 A I'm going to stand up and talk loud. Is that okay?

10 THE COURT: Yes.

11 THE WITNESS: Could we go to the first slide.

12 This is a map of California. This is Central Valley.
13 This is what we call the State Water Project. It's an
14 aqueduct coming down to Southern California. This little
15 area in yellow, this polygon is the Santa Ana Water Shed.
16 Right in here, right near the terminus of the state's
17 project is the Chino Basin. This is a map of the Santa Ana
18 Water Shed to give context to the Chino Basin. Santa Ana
19 River flows from way up here in San Bernardino County down
20 from San Bernardino County to the ocean.

21 These are the regional water agencies in the area,
22 and the Chino Basin is shown here in yellow. This is a
23 little more context. This area shown in this tan color is
24 the Chino Basin again, and these are the various water
25 supply agencies and how they overlie the Chino Basin.

26 In the center is Ontario. On the southern end is

1 Jurupa Community Service District, and the Santa Ana River
2 Water Company. Up in the northern end is Fontana, Cucamonga
3 Valley Water District, City of Upland, Monte Vista Water
4 District, City of Pomona, Chino and Chino Hills. Sprinkled
5 in the middle in there are some small private water
6 agencies.

7 This is a map of the Chino Basin. It shows several
8 things. The first thing of interest is this red line that
9 surrounds the basin. This is the boundary of the basin as
10 is described in the Chino Basin judgment. It's a little bit
11 different than this area in green, which we call the
12 hydrologic boundary. We just know more now than we did when
13 the judgment was done. One of the major features at the
14 bottom is the Santa Ana River, which comes through the
15 bottom of the basin. The basin is bordered by other ground
16 water basins in the north, Claremont, Cucamonga and Rialto,
17 Colton. That's it.

18 Q Could you describe the history of ground water
19 pumping that accompanied the land use changes described by
20 Mr. Manning.

21 A Okay. Can we go ahead two slides, unless you want me
22 to cover this other stuff. One more, please.

23 In Mr. Manning's testimony, he just showed you these
24 land use maps that show the transition of a basin going
25 heavy in agriculture to a basin that was becoming urbanized.
26 So what this chart shows is the historic pumping going from

1 1932 to the present and a projection period to show what the
2 pumpers are planning on producing.

3 So as you recall Mr. Manning's presentation from the
4 thirties to about 1950, the area was highly in agriculture.
5 You can't distinguish a difference in those maps. In that
6 time, the total pumping in the basin was about 260,000 acre
7 feet, which is substantially more than it is today.

8 In the period of rapid urbanization from the late
9 forties to the early sixties and the mid-sixties, the
10 pumping dropped substantially. In this period of time from
11 in the mid-sixties to the present, which averages these
12 pumpings out, is about 166 to 170,000 acre feet per year.
13 An acre foot is like a football field one foot deep. It's
14 about 330,000 gallons.

15 As we go forward in time, we develop these
16 projections. And the current interest in developing these
17 projections is on the Recharge Master Plan as to the
18 Watermaster. But these projections are based on interviews
19 and discussion with the actual appropriators, pumpers in the
20 basin, all the pumpers in the basin, and these are current
21 as of September of 2008.

22 Could we go one more slide, please.

23 Now, corresponding with that production history, I
24 want to give you an example of how the basin was responding.
25 And so I picked two wells in the center of the basin that
26 are very close to each other. The reason is the data for

1 one stops, so I wanted to carry it on with a new well in the
2 same level to give you some idea of how water levels have
3 changed over the basin.

4 These ground water levels correspond to the water
5 level in a well that you can measure from the ground
6 surface. And so if you were at this well, Ontario 7, and
7 you dropped a device in the well to check the water level,
8 it would tell you back that the elevation, the water
9 elevation of the ground. Same concept would be about 740
10 feet. So this is going back to mid-thirties. And as we
11 come forward in time, you can see this continual decline in
12 the water levels through the mid-seventies.

13 And then after the mid-seventies, from this time on,
14 it's really fairly constant. This other Ontario well has
15 the same behavior because the weir input continues on and
16 pretty much shows the same thing. You have a slight
17 decline.

18 The Chino Basin judgment has a feature in it that
19 allows 200,000 acre feet of overdraft to occur in the first
20 40 years of implementation. So once this judgment comes
21 into play, there should be some gradual decline. That could
22 be part of that decline.

23 One of the more interesting things on this graph is
24 this gray line is sort of a difficult concept. It
25 demonstrates the climatic trend that's going on. Whenever
26 this line is going up, it tells you you're in a wet period,

1 and when it's going down, it tells you you're in a dry
2 period. So one of the more compelling things on this map,
3 on this drawing, is that this is the wettest period in the
4 last hundred years in the Chino Basin. And we see very
5 little response, which tells us a lot about the hydrology of
6 this basin and how the basin's evolved over time.

7 Q And are there any other significant changes in the
8 basin associated with land use changes?

9 A There are. And with the land use changes themselves
10 are some things that occur that relate to the hydrology of
11 the system. But I'm going to talk about one of the more
12 important ones that we've recently been concerned about and
13 that is the lining of channels. All these drainage channels
14 going from north to south over the Chino Basin over time
15 have been lined. What I mean is instead of having a soft
16 channel with gentle edges, we've replaced all of them now
17 with these concrete channels, which are very efficient.
18 I'll go through a chronology very quick and show you how
19 that's changed over time.

20 These are the channels we're going to talk about.
21 This is the San Antonio Creek in the west, Cucamonga Creek
22 in the center and Day Creek and San Sevaine. What I'm going
23 to go through real quick is a series of slides that shows
24 how extensive this lining has been in the last 50 years.

25 In 1950, in the late fifties, '58, they lined San
26 Antonio Creek across the northern part of the basin. In the

1 seventies that lining was essentially complete. You see a
2 little channel starting to come in here and be done. More
3 in the seventies, and in the eighties, it's very dramatic.
4 We've essentially at this point reduced all the recharge in
5 these channels.

6 One more.

7 There are little pieces of these channels which
8 aren't necessarily complete, but you can see from this that
9 any storm water recharge to this basin, which has been a
10 component of recharge, has essentially been eliminated by
11 the channeling.

12 THE COURT: Let me ask you, the -- we're talking
13 about storm water running into these channels?

14 THE WITNESS: Yes.

15 THE COURT: And then you capture the water to
16 place back in the basin?

17 THE WITNESS: We do now. From the OBMP, we've
18 gone through a program to try to replace this loss.

19 THE COURT: How did it go about that? Did you
20 put in reservoirs?

21 THE WITNESS: We have diversions off of these
22 streams into basins. In some cases, there were existing
23 basins but they were for flood retention only, so the storm
24 water would be captured just momentarily and then released
25 in the same day. And we've gone through and improved those
26 but engaged in new diversions, and we capture and hold water

1 and let it just recharge.

2 THE COURT: Is that a percolation process?

3 THE WITNESS: Yes.

4 I'm going to wrap this up. This is a stack bar
5 chart. In each of these colors represents one of those
6 channels. This vertical access is a total stream bed
7 recharge that occurred historically. And in this period of
8 time before San Antonio Creek was lined, we used to get
9 about 14,000 acre feet a year, which doesn't sound like a
10 lot, but it took a lot of years to fill this basin up with
11 water, about 10 or 12 million acre feet of water at the time
12 when it was once full.

13 As you see these channels start being lined, you
14 started seeing these channels shrink, and eventually go to
15 '87, it's zero. So this is a land use planning and decision
16 done by not anybody in this room but by the cities, public
17 works, and the County of Riverside, San Bernardino, and the
18 Army Corps of Engineers.

19 MR. FIFE: And, your Honor, before we move on to
20 the next question, just to clarify your question, Mr.
21 Wildermuth will be returning this afternoon to testify about
22 the percolation basins and the Recharge Master Plan.

23 THE COURT: That's fine. Thank you.

24 Q (BY MR. FIFE:) Mr. Wildermuth, were there water
25 quality concerns leading to the OBMP?

26 A Yes, major water quality concerns. Can we go to the

1 next slide. This map shows again the Chino Basin, this kind
2 of gray tone here (pointing).

3 Each of these dots shown on this map represents the
4 location of a well, and they're color coded by the amount of
5 salt that comes out of water produced in these wells. And
6 if it's blue -- Let me back up. There's a drinking water
7 standard for salt, referred to as TDS, as 500 milligrams per
8 liter. And if it's blue, it's less than half that drinking
9 water standard shown on this map. If it's green, it's
10 between the drinking water standard and a half, so it's less
11 than 500.

12 When you get to yellow, it's between 500 and a
13 thousand, or twice the drinking water standard. Orange is
14 two to four times the drinking water standard, and red is
15 greater than four.

16 And as Mr. Manning was alluding to, going into this
17 OBMP process, one of the concerns was this -- he believes
18 this area would go from ag to developed uses and needed a
19 water supply for it. And what they to have done without the
20 OBMP is increase pumping up here and built pipelines down
21 here.

22 But having done that, a great deal of this high TDS
23 water would have escaped to the river. It would have caused
24 a lot of regulatory problems for the producers in the basin.
25 The people who treat waste water in the basin would have a
26 lot of trouble with that, so this was a major issue going

1 from the past is how to manage this salt.

2 The same thing for nitrate. Nitrate is a much more
3 pernicious thing. The drinking water standards there is
4 based not to taste, like TDS, or injury to appliances or
5 processes. This is a health standard. So same kind of
6 color scheme. The dots represent locations of wells. If
7 it's blue, it's half the drinking water standards. If it's
8 green, it's between the drinking water standards and half of
9 its value, and it gets worse as you go out here (pointing).
10 You can see this area in red here is substantial.

11 Before you saw a lot more of the lower TDS water up
12 here. You'll see higher nitrates showing up here, kind of
13 like it does down here sometimes. And the reason is that in
14 the old days when that pumping was 200,000 acre feet, they
15 flood irrigated that land, and that kept the TDS down. But
16 they were pouring lots of these fertilizers in. Down in
17 here, they're much more water conscious, and sort of the
18 management of the dairy manure in the area is largely
19 responsible for these really high concentrations down here.

20 The same problem. We developed this area. We have
21 to have treatment to deal not only with salinity but with a
22 high nitrate problem.

23 Of great concern also to the appropriators was we
24 knew about most of these plumes back then. Some of them we
25 know more today. But many of them were concerned about the
26 impact of the salting plumes impacting their wells in the

1 future. So going into the OBMP, we were concerned about
2 managing nitrate, TDS and a whole plethora of plumes
3 throughout the region.

4 Q Can you explain what you mean by a plume. What's
5 being shown on this map?

6 A Well, at some point in time, there was a release to
7 the ground water system, somebody was dumping some waste
8 through the soil. It hits the water table and the ground
9 water's flowing in this direction (pointing) and just
10 creates a plume, like a plume of smoke, if you will, like it
11 leaves from a smoke stack. So we think we know who produces
12 most of these plumes, and there are actions against most of
13 these parties who are responsible for them. But this is
14 just basically contamination spreading out in the direction
15 of the ground water flow.

16 Q So could you describe the stakeholder process leading
17 to the completion of the OBMP?

18 A Sure. Back in 1998, when Judge Gunn came up with his
19 ruling in February, the day after that, the parties got
20 together at the Watermaster's offices and developed a work
21 plan, process to develop the OBMP.

22 So they spent a few months developing the work plan,
23 and in June of 1998 they began to execute the work plan. It
24 consisted pretty much of going back and looking at all those
25 water quality concerns we were looking at, the changes in
26 pumping patterns and trying to come up with what we call a

1 state of the basin, what is the state of the basin, much
2 like the state of the union, only technical.

3 Once we did that, we went through a process of
4 developing goals, and these are the same goals that Mr.
5 Slater elaborated on. And in that process was a much more
6 detailed description of these goals. Once we got out there,
7 we said, "What are the impediments to these goals? What's
8 keeping us from reaching those goals?" And from that, we
9 developed initiatives or things we could do to get rid of
10 these impediments. When they were done developing all those
11 actions, they became what we call the program elements of
12 the OBMP.

13 Q What other basin management strategies have evolved
14 since implementation of the OBMP began?

15 A Well, I think there are principally two:

16 One of them was the so-called max benefit process,
17 which we went into after the OBMP because we noted that to
18 implement the OBMP we had certain regulatory constraints.
19 And because of all the things we were doing in the OBMP, it
20 became pretty clear that we did not need to have a level of
21 regulatory scrutiny, in other words, what we were doing was
22 going to preserve the beneficial uses of the basin, and if
23 we -- one of the action items in the OBMP was to get what
24 Mr. Slater referred to as hydraulic control.

25 And that was actually a goal. Rather than having all
26 that highly contaminated ground water leave the basin by

1 avoiding pumping it, we were going to go move in and pump it
2 and stop that flow from going out. So if we're doing all
3 the other things in the basin and accomplishing that, then
4 we can protect all the beneficial uses in the basin.

5 So we went to the regional board and asked them if
6 they would raise certain standards, total dissolved solids,
7 salinity standards. We found that when we were going to
8 implement the OBMP, whether we did a reclamation or not made
9 no difference on what the salinity in the basin was going to
10 be.

11 You're going to hear about it later this afternoon
12 from the executive officer of the regional board, but that
13 was a big step.

14 To make that happen and make hydraulic control work,
15 we found that there was subsequent engineering work that we
16 needed to do, reoperation. What reoperation does is it
17 makes it easier to accomplish hydraulic control with
18 certainty. Without doing reoperation, we probably will not
19 be able to get hydraulic control. Reoperation is basically
20 lowering the storage in the basin, lowering the volume of
21 the water in the basin in the northern part of the basin to
22 take the pressure off of the southern end of the basin.

23 Q In your opinion, what is the status of implementation
24 of the OBMP and the OBMP goals?

25 A We've been very dutiful in the implementation of the
26 OBMP. These are the nine program elements that Mr. Manning

1 showed, the ones that basically remove all the impediments
2 and allow us to achieve our goals. When each of these was
3 put into the Peace Agreement and the implementation plan,
4 most of them suggested the development of programs
5 themselves. So the question we went and asked ourselves is
6 have we developed these programs?

7 And the answer is yes.

8 Are they in some state of implementation?

9 And the answer is yes.

10 And this last column, I've put who the implementers
11 are. And one of the things that stands out, when you look
12 at this, is that the implementation, Watermaster's got its
13 hands on it somewhere, but the implementers are
14 stakeholders. I'll walk you through an example.

15 The Comprehensive Recharge Program. We were ordered
16 to implement the OBMP in October of 2000. Before the end of
17 2000, we had developed a Recharge Master Plan. We kind of
18 jumped the gun. We knew. We developed a Recharge Master
19 Plan, and then we implemented it, pretty much having it
20 done, by about 2005.

21 Subsequently, we know we have to do it again and
22 we'll be doing it every five years.

23 For ground water monitoring, program element says do
24 monitoring, monitor these things to answer these questions.
25 So subsequent to the Court order, we developed detailed
26 plans, and we modify all those plans from time to time, but

1 they are being implemented. So I will tell you that in sum,
2 that we've been very good at implementing so far.

3 MR. FIFE: We have no further questions for this
4 witness.

5 THE COURT: Any questions anyone has?
6 Yes, sir. Would you identify yourself.

7 MR. KIDMAN: Art Kidman, your Honor.

8
9 CROSS-EXAMINATION

10 BY MR. KIDMAN:

11 Q I just have a clarifying question because it's not
12 necessarily intuitive, but can you explain the concept of
13 rising ground water and how that affects the lower or
14 southern end of the Chino Basin and why there's a
15 possibility of degraded water escaping the Chino Basin and
16 getting into the Santa Ana River.

17 And then what are the regulatory constraints that you
18 referred to a couple of times?

19 A Sure. Can you roll back to the first map with the
20 color pattern for the wells.

21 Too far. The other way.

22 That's good.

23 What Kidman's -- Mr. Kidman's referring to, the way
24 ground water flows in the basin, it flows from the north and
25 the northeast to the south. So just like this (indicating).
26 And when we started pumping ground water, most of that went

1 down there. And back in probably the early eighties going
2 backwards in time, no water left the basin, very little
3 water left the basin as rising ground water. Santa Ana
4 River water would flow down here and it would sink. A lot
5 of it would flow into the basin and some of it would flow in
6 and come up here as rising water.

7 Now, if this pumping were to decrease significantly,
8 some of this contaminated ground water would come to the
9 river and it would rise up, raise the TDS in the river.
10 Now, there's a standard here, below Prado Dam and the Santa
11 Ana River, that says the five-year volume weighted TDS
12 concentration has to be less than some number.

13 Our concern was if the sudden influx of 20 to 40,000
14 acre feet of this high TDS water would cause a violation of
15 that objective, if that was to occur, the waste water plants
16 operated by Riverside and Inland Empire and Corona down
17 here, who discharge the river, they would suddenly have to
18 take salt out of their F-1. It's extremely expensive, and
19 the irony of it, they have to throw the F-1 back into the
20 river to dilute the river.

21 So basically, we'd be putting additional treatment on
22 the back end of a waste water plant to reduce the salt in
23 its effluent, to reduce the TDS concentration in the
24 effluent, put it in the river, and then that would blend
25 with the other flow of the river, including this high ground
26 water as well, to produce a TDS in the river that would be

1 satisfactory to Orange County.

2 So now, what we decided to do in the OBMP was we
3 wanted to capture this water because it has great value.
4 We'd be throwing this water away, too. And so we put the
5 desalters in, we capture this water, put it back into
6 beneficial use, and we stopped the outflow. And with
7 reoperation, we're making absolutely sure we never have any
8 water leaving this basin by taking the water levels up here
9 and depressing them, bringing them down, and this takes the
10 pressure off the bottom end of the basin.

11 THE COURT: Any other questions?

12 Thank you, sir. You may step down.

13 Another witness, Mr. Fife?

14 MR. SLATER: Sheri Rojo, if you can approach the
15 stand.

16 THE COURT ATTENDANT: If you'd stand here, face
17 the clerk and raise your right hand, please.

18 SHERI ROJO,
19 called as a witness by the Watermaster, was sworn and
20 testified as follows:

21
22 THE CLERK: You do solemnly state the testimony
23 you shall give in this matter shall be the truth, the whole
24 truth and nothing but the truth, so help you God?

25 THE WITNESS: I do.

26 THE CLERK: Thank you.

1 THE COURT ATTENDANT: Please be seated.

2 Will you state and spell your name for the record,
3 please.

4 THE WITNESS: Sherry Rojo, is S-h-e-r-i, R-o-j-o.

5 THE COURT: Go ahead, Mr. Fife.
6

7

8

DIRECT EXAMINATION

9

BY MR. FIFE:

10

Q Miss Rojo, what is your occupation?

11

A I am the Chief Financial Officer and Assistant
12 General Manager of Chino Basin Watermaster.

13

Q And what is your background independent of the
14 Watermaster?

15

A I've been at Watermaster for seven years, and during
16 that time, I've taught accounting classes at the college. I
17 was a CPA. I am a CPA. And prior to coming to Watermaster,
I audited water districts for a CPA firm.

18

Q Could you describe the basic administrative functions
19 of the Watermaster.

20

A Sure. Watermaster's basic administrative duties
21 could be broken down. I think the main -- one of the main
22 items is to serve notice on the parties for the Court and
23 for meeting notices as agenda packages and meeting packages,
24 Court filings. So we send those all out to the affected
25 parties, as well as maintaining the contact data bases,
26 putting together the budgets to fund the projects that

1 you're hearing about, coming up with the assessments, how we
2 bill all the parties to get the money we need to fund the
3 projects and then putting together an annual report.

4 Q And over the years that you have been involved with
5 the Watermaster, how has the process of notice to the
6 parties evolved?

7 A It used to be about 800 notices were sent out
8 whenever there was any type of Court filing or meeting
9 agenda. Over the years, that's whittled down. I think
10 seven years ago, when I first started at Watermaster, we
11 sent out about 200 notices every time there was a meeting or
12 a Court filing.

13 What we started doing about five or six years ago was
14 sending out the notices electronically so we would --
15 instead of sending by mail the whole package of information,
16 we would send a PDF document through e-mail to all of the
17 affected parties. And then that was pretty large files
18 people had a hard time opening, so then what we did is we
19 started E-mailing out a link, which is in our website, where
20 people could find those documents.

21 Q And could you turn around. Is that website on the
22 screen?

23 A Yeah, there it is. Right here is the Watermaster
24 website. We have a lot of information on the website. If
25 you click on the FTP button over here on the left side and
26 here is all of the different directories and all of the

1 different filings that we have since -- you know, most
2 recently. We keep them up there.

3 These ones are almost a years worth of different
4 types of data that people are still asking to see. So all
5 of our notices, when we send out a notice to the parties, we
6 have a link that goes right into this folder.

7 Q And over the years, how has the management of the
8 parties to the judgment evolved?

9 A What used to be -- Before computers, managing all of
10 their information, I guess, manually, and since then we've
11 created different data bases that we're able to pull the
12 different interested parties from. So whether it's just an
13 attorney group or whether it's all Watermaster interested
14 parties that we're going to serve a notice on, so we have a
15 contact data base that we maintain and keep updated so
16 whenever we get updated information, we're able to keep that
17 posted.

18 Q Can you tell us what is the Watermaster assessment
19 package?

20 A The assessment package is a way -- is the document
21 that divides up the costs among the parties based on agreed
22 upon methodology, based on the different costs and based on
23 the Watermaster budget.

24 Q And what is the approval process for the assessment
25 package?

26 A The assessment package, just like the budget package,

1 what we do is we put on workshops. For Mr. VandenHeuvel's
2 presentation, the broad based group at the pool level, so we
3 put on workshops where a lot of people come. A lot of the
4 pools bring their staffs and they come to the different
5 workshops that we have. Then the package gets approved
6 through the entire pool process, through the Advisory
7 Committee, and then it goes to the board for approval.

8 Q And over the years, how has the assessment package
9 evolved?

10 A I think it used to be a pretty simple process that
11 was typed into a document. Over the years, we've added
12 components on. As we formulated the OBMP, it adds a whole
13 new dimension to the assessment package and how we're going
14 to divvy up the cost for implementing that type of program.

15 What we've done more recently, what we had in the
16 past was a series of spread sheets that we tried -- that
17 were attempted to be managed to try and capture the costs
18 and how they should be allocated and passed out to the
19 various parties. And what we've done over the last few
20 years is develop a data base so we're able to enter into --
21 we have a series of data bases, but we're able to enter in
22 production into a production data base system that's tied to
23 our contact data base system, and once we tie out the
24 production -- and it's more than just production, it's all
25 of the annual water activities, so it's transfers, it's land
26 use, it's land use conversions, it's water assignments and

1 so forth. We summarize all the annual activity. We send
2 out that summary to the parties and we ask them to
3 positively confirm that yes, this is the activity that we
4 did over the past year.

5 Once we have the water activity completely reconciled
6 for the year, then it becomes easy. We just assign the
7 dollars from the budget that had already been approved,
8 assign those dollars into the data base, and it just comes
9 up with everybody's assessment.

10 Q And can you briefly describe the Watermaster budget
11 then.

12 A The Watermaster budget is broken into four main
13 categories for expenses.

14 The first is administrative expenses.

15 The second is OBMP.

16 The third is what they call implementation projects,
17 which are the nine program elements that were listed
18 previously.

19 And then a fourth dimension that we also bill for is
20 for replenishment water purchases. So it's those four
21 categories of expenses. We add up the amount of the budget
22 for those four different items and then that determines our
23 cash requirements for the next year. So it's that number
24 that goes into the assessment package.

25 Q And finally, could you briefly describe Watermaster's
26 annual report.

1 A The annual report, for your information, is just a
2 summary of the basin activity for the year. It encompasses
3 items from the assessment package, items from the budget as
4 well as an update on progress and status of different
5 projects and program elements that we're working on and
6 where they are in the construction phase.

7 MR. FIFE: Thank you. We have no further
8 questions for this witness.

9 THE COURT: Does anyone have any questions of
10 this witness?

11 You may step down, ma'am.

12 Another witness, Mr. Fife?

13 MR. FIFE: Your Honor, are we going to take a
14 break for lunch at noon?

15 THE COURT: Yes, we are. To allay your fears,
16 yes, we are.

17 MR. FIFE: Well, I'm just thinking our next
18 couple panels are, I think, a little bit lengthier than 15
19 minutes, but we could, if we went a little bit out of order
20 on the outline, I think we could pull a witness that would
21 be about 15 minutes.

22 THE COURT: That's okay. We can interrupt
23 someone if you want. So go ahead and call somebody.

24 MR. FIFE: Mr. DeLoech.

25 So while he's making his way to the stand, your
26 Honor, we ordered the outline in a way that was logical in

1 terms of the OBMP, in terms of understanding, but each of
2 the areas is fairly distinct, so what you'll be hearing
3 about is storage from Mr. DeLoech.

4 THE COURT ATTENDANT: Raise your right hand,
5 please.

6 ROBERT DE LOECH,
7 called as a witness by the Watermaster, was sworn and
8 testified as follows:

9
10 THE CLERK: You do solemnly state the testimony
11 you shall give in this matter shall be the truth, the whole
12 truth and nothing but the truth, so help you God?

13 THE WITNESS: I do.

14 THE COURT ATTENDANT: Please be seated.

15 Will you state and spell your name, please?

16 THE WITNESS: Robert DeLoech, R-o-b-e-r-t, D-e,
17 upper case, L-o-e-c-h

18
19 DIRECT EXAMINATION

20 BY MR. FIFE:

21 Q Mr. DeLoech, what is your position in the Chino
22 Basin?

23 A I am currently the General Manager and CEO of the
24 Cucamonga Valley Water District, and I am also the
25 Vice-Chair of the Advisory Committee. In the past I have
26 chaired that committee as well as the appropriator chair and

1 served as chair of the Water Quality Committee.

2 Q How long have you been the General Manager/CEO of the
3 Cucamonga Valley Water District?

4 A Since 1997.

5 Q Other than Cucamonga, have you had any other
6 experiences in the Chino Basin?

7 A I have. My previous employer was the City of Pomona,
8 and I first started working in the Chino Basin in
9 approximately 1991.

10 Q In your time in the Chino Basin, have you become
11 familiar with storage issues in the basin?

12 A Yes, I have.

13 Q Were you involved in the development of program
14 elements eight and nine of the OBMP?

15 A Yes, I was.

16 Q And what are program elements eight and nine?

17 A Program elements eight and nine deal with storage
18 management and then storage and recovery.

19 Storage management, which is program element eight,
20 actually dealt with that component of storage and
21 Watermaster's responsibility to manage basin water and
22 storage capacity within the basin for basin users so to put
23 that water to maximum beneficial use.

24 Program element nine dealt with Watermaster's ability
25 to regulate not only storage but the ability to recover that
26 water at a later date.

1 Q Can you explain for the Court what is meant by the
2 term storage?

3 A Well, storage is that available space or capacity
4 within the confines of the basin. Sometimes we refer to the
5 basin like this big tilted bathtub, and there's the ability
6 to put water in and there's the ability to take water out.
7 And there still is available storage capacity within this
8 large basin.

9 Q And how is water put into storage?

10 A Well, there's multiple ways. The most simplest way,
11 without human intervention, is natural rainfall, percolation
12 that falls on the ground and percolates into the ground and
13 is captured and stored in the basin.

14 But as pointed out in previous testimony and
15 presentations, Watermaster has done a job or taken on a task
16 of capturing storm water, recharging that water back into
17 the aquifer where it's stored. Water that is not produced
18 in any given year by a producer within the basin has the
19 ability to carry that water over and store it within the
20 basin.

21 Water can also be imported from outside the basin,
22 bought from Metropolitan Water District, as an example, or
23 from other producers or other parties and brought into the
24 basin, recharged and stored within the basin. Kind of a
25 somewhat new technology, not new to the industry but new to
26 our basin, is the ability to inject water back into the

1 basin. Simply put, that's just a ground water well almost
2 in reverse where instead of pumping water out, you're
3 actually taking water that's imported and putting that back
4 into the basin to store that water.

5 Q And what are the different types of storage programs
6 in the Chino Basin?

7 A Well, I think, as described in these two elements, we
8 come into two types: One, local storage. And the other is
9 storage and recovery.

10 Local storage accounts are those accounts that are
11 managed by Watermaster for ground water producers to meet
12 their local demands from year to year. Those accounts are
13 managed and regulated by Watermaster through agreements.

14 The storage and recovery program, as envisioned in
15 program element number nine, was a very ambitious, large
16 scale storage, or what we call conjunctive use program,
17 where Watermaster anticipated through its analysis and
18 engineering that we could actually store upwards of 500,000
19 acre feet of water in the basin at any one time without
20 causing harm or damage to other producers.

21 That program was successful from the perspective that
22 we did the analysis that showed that we could do that type
23 of a large scale storage and recovery program, although we
24 never did effectuate such a program.

25 Watermaster, a number of years ago, put out a request
26 for proposal to any of these that may want to import water

1 into the basin, store it and leave it there for a period of
2 time to meet future drought demands or whatever conditions
3 might be the case. We did have some interest from as far
4 south as San Diego County and Northern Los Angeles County
5 but nothing that really amounted to a large scale storage
6 and recovery.

7 Q But are there any storage and recovery programs
8 currently in place in the basin?

9 A Well, that program I just described, the large scale
10 storage and recovery, is still in place in terms of the
11 ability to effectuate such a program. But probably the most
12 current program is a program that Watermaster, in
13 conjunction with Metropolitan Water District and the
14 producers, which is called the Dry Year Yield Storage and
15 Recovery Program. Under this program Metropolitan District,
16 as the wholesale importer of water, stores up to a hundred
17 thousand acre feet of water in this first phase, provides
18 capital to the ground water producers to then build
19 facilities to pump that water and treat that water.

20 When Metropolitan makes a determination that because
21 of their supplies in a dry year, they will ask and require
22 us to quit taking imported water, and we'll have to shift,
23 using those facilities we've constructed, to producing
24 ground water to meet our needs rather than import water.

25 There's another small program that's really not a
26 storage and recovery program in the strictest definition of

1 element nine, but that's a small program where our agency,
2 The Cucamonga Valley Water District, entered into an
3 agreement with an Orange County retail agency, Santa
4 Margarita Water District, and in that program, it's
5 basically what we would, I guess, classify as an insurance
6 program. Santa Margarita Water District, under its
7 obligation of state law to meet water supply requirements
8 due to development concerns, has to show that they have
9 adequate water supply in their water portfolio to meet a
10 20-year demand at any one time.

11 So they approached Cucamonga, who had water in a
12 local storage account with Watermaster, to reserve a portion
13 of our supply held in storage for their future use. That
14 program's been in place for a number of years, and there's
15 mechanisms in there by which if Santa Margarita should ever
16 make a call or demand on that water, we can actually shift
17 or transfer that water to them.

18 Q What is the role of Watermaster in that program?

19 A Watermaster actually was just kind of the
20 administrative agent for the agreements between both
21 parties. Really, the agreements would be between the
22 Metropolitan agencies. If Santa Margarita Water District
23 wanted to place a call on that water, it would trigger then
24 the wholesale agencies, Inland Empire Utilities Agency and
25 the like agency in Orange County, of making a transfer of
26 that water.

1 Q In your opinion, why are program elements eight and
2 nine important to successful implementation of the OBMP?

3 A I think you're going to see, in conjunction with all
4 the other elements of the OBMP, eight and nine provide
5 significant flexibility to Watermaster and the ground water
6 producers to manage local supplies. They allow us to store
7 water. They allow us to place water in that basin so we can
8 meet future demands. They allow us to produce that water or
9 recover it at different times of the year.

10 All that being said, it provides Watermaster with a
11 variety of tools to manage the basin. Also, I think in
12 furtherance of the judgment, allows us to maintain the
13 safety of the basin.

14 Q And finally, in your opinion, has Watermaster so far
15 met its obligations into the implementation of the OBMP
16 objectives regarding storage?

17 A In my opinion, they have.

18 MR. FIFE: Thank you. No further questions.

19 THE COURT: Any questions from anyone of this
20 witness?

21 All right, sir. You may step down. Thank you.

22 We'll be in recess then till 1:30, ladies and
23 gentlemen.

24 (Lunch recess.)
25
26

1 SAN BERNARDINO, CALIFORNIA, MONDAY, FEBRUARY 2, 2009

2 1:30 p.m.

3 DEPARTMENT NO. S-32

HON. JOHN P. WADE, JUDGE

4 (Betty J. Kelley, C.S.R., Official Reporter, C-3981.)

5
6 THE COURT: All right, Mr. Fife. Your next
7 witness.

8 MR. FIFE: Mr. Malone. Your Honor, while he's
9 making his way to the witness stand, I just want to sort of
10 reorient us after lunch so up on the screen, I've put Mr.
11 Manning's slide of the nine OBMP elements.

12 What we are going to do for the rest of the afternoon
13 is basically walk through these elements. We've tried to
14 structure the outline so that we're not simply going through
15 one, two, three, four, five. As Mr. Manning indicated, some
16 of these are related, so we've grouped them and we've tried
17 to group them around current -- the most current issues at
18 Watermaster right now. So it's sort of a hybrid of sticking
19 to the list of nine, going with the most current issues,
20 grouping things logically.

21 Just before lunch then, we covered eight and nine.
22 Now, we're going to go back up to the top of the list and
23 we'll start out with number one. We'll go through
24 monitoring. Then we'll skip down to Management Zone One
25 strategies and then march through the rest as indicated on
26 the outline. So I just wanted to sort of orient you to

1 where we are in the presentation.

2 THE COURT: All right.

3 THE COURT ATTENDANT: Raise your right hand,
4 please.

5 ANDREW MALONE,
6 called as a witness by the Watermaster, was sworn and
7 testified as follows:

8
9 THE CLERK: You do solemnly state the testimony
10 you shall give in this matter shall be the truth, the whole
11 truth and nothing but the truth, so help you God?

12 THE WITNESS: Yes, I do.

13 THE CLERK: Thank you.

14 THE COURT ATTENDANT: Please be seated.

15 Will you state and spell your name for the record,
16 please.

17 THE WITNESS: Andrew Malone. A-n-d-r-e-w,
18 M-a-l-o-n-e.

19

20 DIRECT EXAMINATION

21 BY MR. FIFE:

22 Q Good afternoon, Mr. Malone. What is your occupation?

23 A I'm an associate scientist and a partner at
24 Wildermuth Environmental.

25 Q How long have you been with Wildermuth Environmental?

26 A Over 11 years.

1 Q Have you been involved with Chino Basin that whole
2 time?

3 A Yes, I have.

4 Q What has been your involvement with Watermaster's
5 monitoring programs?

6 A Well, I'm a project manager for some of the programs,
7 which means that I help design the programs. I go out in
8 the field from time to time and actually collect the data.
9 I've been involved in developing some of the data bases
10 that -- where we store the data, and I analyze and report on
11 the data. So I'm pretty intimately involved in the data
12 through its whole life cycle.

13 Q And what types of data are available about the Chino
14 Basin?

15 A I'm going to stand up, if that's all right. I've
16 listed here some of the main data types that we collect, and
17 you can basically break it down into two major types.

18 It's ground water data, and that would include
19 geologic data from the wells that we drill. Pumping data,
20 obviously, is a very important piece of data for
21 Watermaster. They measure the pumping and they compare it
22 against pumping rights, and that's the way they calculate
23 overproduction and replenishment obligations.

24 Ground water levels, where we measure the ground
25 water level in the wells, and that's how we track storage
26 and storage changes over time. And it's how we determine

1 how ground water flows and which direction ground water
2 flows. It's all pressure driven, and we do that with ground
3 water level data.

4 And, of course, the ground water quality, which you
5 can substitute the word chemistry there, for ground water
6 quality.

7 Then the other major category of data is surface
8 water, and that comes in the form of precipitation. We
9 collect that data from flood control districts mainly. But
10 then we have a lot of surface water flow and quality that we
11 measure in the streams. And now with recycled water
12 becoming more and more a resource that we're utilizing in
13 the basin, IEUA tracks a lot of that from their environment
14 and the quality of that water.

15 And then we're taking that water and we're putting it
16 into the recharge basins as a form of supplemental water
17 supply for the ground water basin, and so we're monitoring
18 the quality and the amounts of water that are going into
19 those basins as well.

20 There's a last item here called land subsidence that
21 we do a lot of monitoring as well, and that's really a
22 mechanical response that's going on inside the aquifer
23 system as ground water levels are going up and down. Land
24 subsidence can be a mechanical device that's going on within
25 the aquifer sediments, and that has been an issue in Chino,
26 so we monitor that very closely since the implementation of

1 the OBMP.

2 Q How does Watermaster obtain this data?

3 A Well, we obtain it -- Watermaster has staff, and
4 they've hired Wildermuth Environmental staff, also, to go
5 out and collect data mainly from the private wells in the
6 basin. But there's also a lot of data that's collected by
7 the municipal pumpers themselves and other agencies out
8 there, other water agencies, and what Watermaster staff does
9 is they go out and collect that data from the -- from those
10 agencies that collect it and they compile it into their data
11 bases.

12 Q And who are those entities?

13 A Those would be all the municipal pumpers, as well as
14 IEUA and the USGS, they do some monitoring out in our basin,
15 the DTSC, where they're monitoring some super fund sites.
16 There's other ground water contamination plumes in the basin
17 that are being monitored by the potential responsible
18 parties. We collect that information mainly from the
19 regional board. We go to the regional board's office and
20 collect all that data that's been collected at those sites.
21 Flood control districts might be another data source.

22 Q And now you indicated that you wanted to walk through
23 some photographs to demonstrate the different types of data
24 that are collected.

25 A Your Honor, I put together a couple slides here, just
26 some photographs that will give you some visual explanation

1 of what we do out here as far as collecting data.

2 THE COURT: Okay.

3 THE WITNESS: I thought it might bring some
4 additional understanding.

5 Really, where most of our data on the ground water
6 basin comes from is from the wells. These very same wells
7 that we're pumping the water out of the aquifer from, that's
8 where we collect all of our information. They're our eyes
9 into the ground water storage reservoir. So all the data
10 that we get from them, it starts in the very beginning when
11 we drill the well. When we drill the well, this is an
12 example of what comes up out of the hole as we're drilling
13 it.

14 So what you're seeing here at different depths within
15 the aquifer system are the actual aquifer sediments that are
16 coming up. You can see it's very highly variable in terms
17 of the composition and the texture of these sediments.

18 You have very course grain sands and gravels and you
19 have very fine silts and clays here, and they're all inner
20 bedded. It's very complicated when you're watching one of
21 these wells being drilled and trying to log these sediments
22 as they come up out of the hole.

23 When a well turns on, the water is sucked mainly out
24 of the course grain sediments. These course grain
25 sediments, they have a lot of pore space and water can flow
26 in between the pores to the well. So they enter -- water

1 enters the well through these course grain sands and
2 gravels.

3 The clays are also saturated. They have water in
4 them, too, but they're not very permeable so water can't
5 flow horizontally towards a well within these clays.

6 But what does happen is that water can leak into the
7 sands and gravels and then make its way to the well. And
8 when that happens, when the water drains out of these clays,
9 the clay can compress. And so that manifests itself as land
10 subsidence on the ground surface, and we'll talk more about
11 that a little later on.

12 But I thought this graphic was a good explanation of
13 how that works. So at any rate, we log all this data at
14 every well that we can get it, we log all this information
15 about where the sands and gravels are and where the clays
16 are in depth, and we do that at a number of wells.

17 Can you go to the next slide.

18 So what we do, what you're looking at here is what's
19 called a hydrologic cross-section. So this is looking
20 through a slice of the earth here. And this is about a
21 thousand feet, and there's a lot of vertical exaggeration
22 because this is several miles here.

23 But what we do is we plot up all that well log
24 information, we call it, on one of these cross-sections and
25 we can tell where the consolidated bedrock is. This is
26 non-water bearing, as opposed to the unconsolidated aquifer

1 sediments, and we can even tell a little something about the
2 differences between the sediments in the shallow zone and
3 the sediments here in the middle and the sediments here in
4 the deep. And we can tell whether or not it's more
5 permeable here or less permeable here and so forth.

6 We use a lot of this information when we generate our
7 computer simulation ground water flow model. This gives us
8 some idea of the physical geometry of the aquifer system and
9 then some of its properties as well. They're all very
10 important to understand.

11 So we use all the well data from the well drilling to
12 come up with models like this.

13 And this is what a typical water supply well is. I
14 don't know if you're familiar with this or not, but
15 basically, here's the well head and the pump motor, so all
16 the water is pumped here, and then it enters this discharge
17 pipe to go out into the supply system. This tube right here
18 in this well, this is called the sounding tube, and we
19 unscrew this and this is where we drop a device in to take a
20 water level measurement.

21 There's a spigot right here, and this water that's
22 pumped, that's where it's sampled from. And the water is
23 sent off to analytical laboratories to better understand its
24 dissolve chemistry. And then right here, you have a flow
25 meter. And this is where we monitor how much water is
26 pumped through this discharge pipe and out into the system.

1 Can you go to the next slide.

2 And this is a close-up of what the flow meter looks
3 like. It's measuring here the flow rate, the instantaneous
4 flow rate, 627 gallons per minute, and it also has an
5 odometer here in thousands of gallons. That's the units
6 that's used. And periodically, someone comes out and reads
7 this number, records the date and time. The next time they
8 do it, simple subtraction, and that's the volume of water.

9 Watermaster collects all this data from the
10 appropriators, and they go out to the private wells and they
11 collect it themselves.

12 Can we go to the next slide, please.

13 This here is an example of a monitoring well. It's
14 one bore hole. It's got five wells inside of it. They all
15 go down to different depths within the aquifer system.

16 The third dimension of the aquifer system is very
17 important. Sometimes we think of things in two dimensions
18 here on the surface of the earth, but in the ground water
19 basin, we've got a third dimension down there. And so we
20 build wells like this to help us understand what the water
21 levels and what the water quality is like at different
22 levels within the aquifer system.

23 And here we have what are called transducers that are
24 measuring water level and recording them once every 15
25 minutes. And so we do this especially when we're doing some
26 testing, and we can learn a tremendous amount about the

1 aquifer system when we install facilities like this. And
2 we've got quite a few of these now across the basin.

3 What you're looking at here is a recharge basin where
4 recycled water is being recharged and storm water is being
5 recharged.

6 THE COURT: When you say "recharged," what do you
7 mean by that term?

8 THE WITNESS: Percolated. And the water that's
9 percolated saturates through the unsaturated zones and
10 finally reaches the saturated zone, which is where we pump
11 our ground water from. It might be in this location. It
12 might be two or 300 feet that it would have to percolate
13 before it would hit ground water.

14 What we have is one of our staff here that's not only
15 taking a water level measurement at a monitoring well here,
16 but these tubes right here are sucking some water out of the
17 monitoring well and is taking a water quality sample. And
18 the reason why he's doing this monitoring here so close to
19 this recharge basin is because recycled water is being
20 percolated here and it's part of the Health Department's
21 regulations as far as allowing the basin to be recharged
22 with recycled water.

23 Q (BY MR. FIFE:) And so, Mr. Malone, how much data
24 does Watermaster collect?

25 A Well, it's a tremendous amount of data. And you
26 heard Mr. Manning talk about high def, and I think when you

1 see these graphics here, you see how many wells we have
2 across the basin and how much data is collected from each
3 well, I think you can get that sense.

4 What you're looking at here is a graphic of ground
5 water production during the year 2005 and 2006, and the
6 larger and the redder the dots are from the wells -- on the
7 wells, that means the more water was produced during that
8 year, pumped from the aquifer during that year.

9 As you can see, most of the municipal pumpers pump up
10 here in the northern part of the basin. They have fewer
11 wells but they're bigger wells that pump a lot more water.
12 And down here in the agricultural area, we've got fewer --
13 or many more wells but they're smaller; they don't pump as
14 much.

15 Some of these bigger dots down here, these are the
16 newly drilled desalters wells, and so they are municipal
17 supply wells now and they pump to reverse osmosis facilities
18 where the water is treated and then served for municipal
19 purposes. So that's why we have some bigger dots down here
20 as well.

21 Q Mr. Malone, could you call attention to where on this
22 chart indicates how much wells we're collecting data from?

23 A About 700 wells where we collect production data in
24 the basin. Thank you, Michael.

25 This graphic here is showing where we collect water
26 level data from. And the different colors on the wells here

1 represent the frequency that we go out and collect water
2 level data from these wells. The blue represents we go out
3 twice a year. The orange dots is we go out once a month and
4 measure water levels. The green dots, the owners, and it's
5 mainly the municipal pumpers, they go out about once a month
6 and measure water levels. And then the red dots are where
7 we have these pressure transducers where we're recording
8 water levels once every 15 minutes.

9 And so minus those 15-minute data, we collect about
10 1500 manual measurements of water levels of private wells
11 down here at private wells in the basin every year. We have
12 about 115 of these wells with pressure transducers and we go
13 out quarterly and download that data. So it's quite a bit
14 of data.

15 The next slide, please.

16 And this is water quality data, and all of this
17 sampling here didn't go on last year but over a five-year
18 period. These wells aren't often required to go out and
19 monitor every year. Some of them are once every three
20 years. Water quality typically doesn't change very rapidly
21 in a well, and so every three years is typically a good
22 frequency to go out and measure.

23 But again, the green wells are the municipal wells.
24 The red wells are the private wells, and then the blue wells
25 are from a lot of these point source ground water
26 contamination plumes where we go to the regional board and

1 we collect their data.

2 So you can see they've got lots and lots of
3 monitoring wells where they're collecting data.

4 And then lastly, we have the surface water, and the
5 surface water is mainly -- our surface water monitoring is
6 mainly concentrated down here in the lower half of the
7 basin. (Pointing.)

8 And you've been told this a number of times, but I'll
9 just reinforce it. Basically, our ground water flow
10 directions are from the north to the south, and our ground
11 water levels get very shallow down here. And when they get
12 shallow in the little stream valleys, you can have ground
13 water that's rising and becoming surface flow so you can
14 have this ground water basin feeding the surface flow here.

15 And because this ground water is pretty high in salt
16 and nitrate, we're concerned about it because we have a
17 neighbor down here in Orange County that recharges all this
18 water, surface water that makes its way past Prado Basin.
19 And so we actually have regulations in the basin plan that
20 call for us to control the ground water levels down here,
21 try to depress them down here so that we minimize our effect
22 on the water quality and the flow in the Santa Ana River.

23 But also, part of that is to do the monitoring to
24 back it up. Are we impacting it or not? So we do
25 monitoring here at some of these green dots where
26 Watermaster staff actually comes out and does the monitoring

1 of flow and water quality at some of these locations. And
2 then the red dots here where IEUA is discharging their
3 recycled water, and they monitor very closely how much
4 they're discharging and what water quality, and we use that
5 information to figure out what the effects of the ground
6 water basin is on the Santa Ana River.

7 So we stay up here, collect about 220 surface water
8 quality samples and about 100 flow measurements along the
9 Santa Ana River and its tributaries over the past year.

10 Q Mr. Malone, do you know the cost of the monitoring
11 that Watermaster does?

12 A The cost of the monitoring, in terms of labor --
13 annual cost of the monitoring in terms of labor and
14 laboratory fees, is about a million dollars a year.

15 Q And does this amount include the monitoring that's
16 done by others?

17 A It does not. And it also does not include any
18 capital expenditures. Sometimes we go out and we have
19 capital expenditures on monitoring facilities, and that's
20 not included in that one million, as well as monitoring
21 that's done by the pumpers. They do a tremendous amount of
22 water quality monitoring, especially at their wells under
23 their regulations with the Health Department, their permits.

24 Q And do you know how much, in dollar figures of value,
25 that would be?

26 A I don't personally know it, but I had a conversation

1 with Mr. Manning last week and he gave me rough justice
2 numbers of about three million dollars.

3 Q Mr. Malone, why does Watermaster collect this data?

4 A Well, there's two main reasons:

5 One is the OBMP, the obligations under the Optimum
6 Basin Management Program. When you saw these nine program
7 elements, monitoring was the first one. Monitoring was the
8 first one, but all the subsequent program elements, they
9 depend in some way on the monitoring data that we collect.
10 So we're not just out there monitoring for monitoring sake.
11 It's very specific monitoring designed to answer certain
12 questions for all these other program elements.

13 So it's OBMP commitments, and then there are
14 regulatory commitments like we were just talking about with
15 the surface water here. There are regulatory commitments as
16 to why we do some of our monitoring as well.

17 Q And how does Watermaster store the data that it
18 collects.

19 A In what's called relational data bases. It's a
20 tremendous amount of work, in terms of being part of these
21 monitoring programs, is the collection and the compilation
22 of the data. We check the data very closely before we put
23 it in the data bases. So in order to do it right, it's a
24 lot of labor to maintain these data bases.

25 Q And has this data been used to construct a computer
26 model of the Chino Basin?

1 A Yes, it has.

2 Q And can you tell us very briefly what is a computer
3 model?

4 A Well, a computer model, it's software code. When you
5 say model, sometimes you think of a physical construction.
6 But we sit down at a computer and we construct what the
7 ground water basin looks like geometrically and physically,
8 and then what we do is we calibrate the model. And the way
9 we calibrate the model is we take all the historical data,
10 and it's used as input and as a check against the model
11 results.

12 And what we're trying to do is simulate the past as
13 closely as we can with the model. If we're successful at
14 simulating the past with the computer simulation model, then
15 it gives us confidence that we can use it as a predictive
16 tool for predicting what's going to happen in the future.

17 When I say what's going to happen, I mean what's
18 going to happen to water levels, how is ground water flow
19 going to change in the aquifer system? If we recharge in
20 this way and we pump in this way, how is the ground water
21 basin going to respond to that? And we use that information
22 to help us do the CEQA process for a lot of our planning
23 that we're doing.

24 Q And in your opinion, how effectively does the Chino
25 Basin model simulate reality?

26 A We have data here that indicates that it's a very

1 well calibrated model. So it gives us a lot of confidence
2 that it's a good predictive tool in our planning scenarios.
3 So what -- How can I explain this to you really quickly?
4 What we have on the X axis here is measured water level.
5 And what we have on the Y axis here is the simulated or
6 predicted water levels at wells during our calibration. So
7 we're looking at historical data and comparing to how our
8 model compares with its simulation of historical conditions.

9 So perfect match would be everything plotted right on
10 this line. And you can see that its very tightly clustered
11 around this line.

12 And another thing is that there's no bias to one side
13 or the other side of this line. So these are the types of
14 charts we put into our modeling reports to demonstrate that
15 we have a well calibrated model present.

16 MR. FIFE: Now, we have about a three-minute
17 presentation that Mr. Malone is going to go through to show
18 you some of the features and capabilities of the model.

19 THE COURT: All right.

20 THE WITNESS: So what you're seeing here is the
21 software program that my colleague over here, Wen-Hsing
22 Chiang developed, and it's a 3-D visualization tool. So we
23 use all the information that we generate to generate the
24 model, we put it into this program here so we can visualize
25 not only the model but some of the model results. So what
26 Wen-Hsing has here is we're looking down, it's a map view on

1 the Chino Basin, and you can see a lot of the ag area, the
2 fields down here, how it's so well urbanized up in this
3 region, and this is our model boundary right here in yellow,
4 the Chino Basin. We include a little bit of what's called
5 the Temescal Basin down here on the other side of the Santa
6 Ana River because it's connected.

7 What Wen-Hsing is doing now is he's tilting it. You
8 can see that the air photo is draped over the top of a
9 digital elevation model. And so we can now come in and see
10 what's underneath here in the model. Just put a little
11 transparency to the digital elevation model and the air
12 photo.

13 And what he's turned on here are the wells and the
14 well depths, so the location of the wells and the well
15 depths.

16 And then what he's turned on here is the bottom of
17 the aquifer.

18 So again, we developed this surface of the bottom of
19 the aquifer based on the well data itself, those
20 cross-sections. I showed you one cross-section, but we have
21 probably 12 or 15 of those cross-sections in different
22 locations. And it helped us construct the bottom of the
23 aquifer here.

24 So again, ground surface above, we have some well
25 depths here, and then you're looking at the bottom of the
26 aquifer.

1 What he's going to turn on next is the water level, I
2 believe. You can tilt down, and then he's got a transparent
3 water level here so you can see the unsaturated zone between
4 the land surface and the water table. Everything beneath
5 the water table, all those sediments are saturated fully
6 with water, their pores bases are saturated with water.

7 And then with the model, what we can do is look at
8 flow directions. And so what Wen-Hsing has just plotted on
9 here are vectors of the direction of ground water flow.
10 He's plotted it in two dimensions, and if you go to the top,
11 Wen-Hsing, you can see how some of these vectors are showing
12 flow in towards the wells. This is a model result from
13 December 2035.

14 So what we're actually doing here is visualizing what
15 some of our model results are. We had certain pumping
16 programmed into the ground water flow model, and we had
17 certain recharge programmed into it, and then we ran the
18 model over a number of years out into the future. And this
19 is -- we're just looking at a snapshot in time here of
20 December, 2035.

21 And you can see here --

22 Can you back out a little bit more, Wen-Hsing,
23 please.

24 What you can see here is the Santa Ana River, and Mr.
25 Wildermuth was talking earlier about water recharging in the
26 Santa Ana River and then flowing out into the basin. And

1 that's what this model is predicting here, that this is
2 occurring, recharge in the Santa Ana River, and then it's
3 flowing out in the basin and it's being pumped ultimately by
4 these desalter wells right here. (Pointing.)

5 I think lastly, what Wen-Hsing has are some path
6 lines that he's going to turn on to give us the third
7 dimension that I've been talking about. And what he's
8 showing here, again, this is two-dimensional vectors, but
9 there's a third dimension here. And so what he's done is
10 he's injected some water particles upstream, and he's
11 watching how the model is showing how that water particle
12 would travel and ultimately come up and be produced by some
13 of these desalter wells here. So we have the ability to
14 really look in three dimensions what our model results are
15 telling us.

16 A lot of this can be just very useful information.

17 If you back up a little bit, Wen-Hsing.

18 We have, again, a lot of these point source water --
19 ground water contamination plumes up in this area, and we
20 can use this model to predict where those are going to go in
21 certain scenarios of recharge or pumping across the basin.
22 So that gives you a little sense of what we've been up to.

23 MR. FIFE: Thank you, Mr. Malone.

24 Your Honor, Mr. Malone is going to stay up and he's
25 going to begin our testimony for subsidence, the next
26 section, but I think this would be an appropriate time if

1 there's cross-examination concerning monitoring or if you
2 have questions about Watermaster's monitoring element.

3 THE COURT: Does someone want to ask a question
4 of this witness?

5 (No response.)

6 THE COURT: Go ahead, Mr. Fife.

7 Q (BY MR. FIFE:) So we'll move straight into our
8 discussion of subsidence.

9 Mr. Malone, were you involved in the development of
10 the long-term plan for the management of subsidence?

11 A Yes, I was.

12 Q And what was your role in the development of the
13 long-term plan?

14 A I've been the project manager. So again, just like
15 with the monitoring programs, I helped develop the
16 scientific investigation to investigate the subsidence
17 phenomenon in Chino Basin. I've facilitated all the
18 meetings of the MZ-1 Technical Committee, and I drafted the
19 first draft of the long-term plan, and I've reported on --
20 drafted all the reports on the technical investigation, the
21 results and conclusions of the technical investigation.

22 Q And what is land subsidence?

23 A I've got some more graphics to show here,
24 essentially, what land subsidence is. This is a before and
25 after picture. Land subsidence is the vertical downward
26 displacement of the land surface. But what we think we have

1 in Chino Basin is pumping-induced land subsidence.

2 And so remember back to my discussion on the clays.
3 What I'm trying to represent with here is that we've got
4 some wells here and their well screens, and these white
5 areas are sands and gravels. And the green blobs here,
6 layers, are the clay layers. So what happens is when you
7 turn on this well, you have water flow towards the wells and
8 the vertical drainage of water out of the clays.

9 And again, what can happen is if you pump enough
10 water and you draw water levels down enough, you can have
11 the water draining out of the clays and the compression of
12 those clays occur in a permanent fashion where the water can
13 never again come back into these clays and reinflate them.
14 They're going to be compacted like this permanently, and
15 that results in permanent land subsidence.

16 Q And has there been land subsidence in the Chino
17 Basin?

18 A Yes, there has. I believe I've got some graphics to
19 show what the historical data has shown us.

20 What you're looking at right here is a graphic of the
21 west side of Chino Basin. So you have the 10 up here and
22 the 60 here and the 71 here (pointing), so this is the City
23 of Chino and Pomona, Montclair up here and Ontario over
24 here. And the shading on here is telling us about land
25 subsidence. We obtained this data from radar satellites,
26 and I'll explain that in more detail later. But for now,

1 this is giving you a gist of where the subsidence has
2 occurred in the basin in the past.

3 Right now, what we're looking at is subsidence that
4 occurred from January, '96, to April, 2000. And these
5 values here are contours and these values are in
6 centimeters. So we had about 12 centimeters of subsidence
7 in these dark red areas. But you can see that we've had
8 subsidence across a good portion of Western Ontario and up
9 here in Pomona and, of course, all across Chino here. If
10 you go to the next slide, please.

11 Now, we lost a lot of the color here, but I want you
12 to note that we've got higher values as well. And this was
13 earlier in the 90's, September, '93, to December, 1995. And
14 you can see here where we have over 50 centimeters of
15 subsidence down here in the southern part of Chino.

16 And we still had our subsidence occurring in these
17 other areas, but it was pretty severe down here. And what
18 it was accompanied by, this subsidence, were ground fissures
19 which are shown here in brown. And this is really how we
20 first discovered that subsidence was occurring was because
21 we had fissures open up in the ground surface, and we've got
22 some photographs of those, I believe. That's going to be
23 the next couple slides is actual photographs.

24 Yeah. This here is a fissure that opened up in
25 December of '92, and this is at prison property at the
26 California Institution For Men. And, of course, it had made

1 them abandon this building here, and they had to fill in
2 this fissure.

3 And this here is an ag field also on prison property.
4 It opened up in February of '91.

5 THE COURT: Does the subsidence affect the
6 capacity of the water basin?

7 THE WITNESS: That's a good question. People ask
8 that question quite often. But it doesn't really. Yes,
9 that water is drained one time out of those clays, but it
10 was always in those clays and never really participating in
11 the circulation system, for lack of a better term, the
12 circulation system of the basin. You did mine that water
13 out of the clay, but it was never there for the taking in
14 the first place. But you did take it and now it's gone.

15 So yes, we did lose some storage in the basin, but it
16 really wasn't part of the circulation system in the sands
17 and gravels. I think that's the best way I can explain it.
18 Yeah, it's ground water mining, but you didn't really lose
19 capacity, storage capacity, because it's not part of the
20 circulation system.

21 Can you go back to -- Yeah, go back. Just to give
22 you a little history on what happened, is that we had a
23 number of wells, deep wells over here in this part of the
24 basin that pumped a lot of water here in the 80's and early
25 90's. And we drew down water levels to all-time historic
26 lows in this deep part of the system. And then these ground

1 fissures appeared.

2 Now go on. Once these ground fissures appeared, what
3 happened is it spurred some scientific studies of what was
4 going on over here. And there was a ground level survey
5 that was done in 1987 and then maybe 1993. After these
6 fissures appeared, they did an additional survey. And then
7 they did them periodically all the way through till 1999.

8 And what they came up with was this contour map of
9 subsidence from 1987 to 1999. You can see here that we had
10 over two feet of subsidence in these areas here. It's more
11 of a trough of subsidence, and it's a very steep sided
12 trough right here where we have no subsidence that occurred
13 out here, but two and a half feet here, and it's a little
14 more gradual over here.

15 So immediately, it began to -- we began to see the
16 link between this very steep -- we call this differential
17 subsidence where you have none here and then a lot here --
18 you see this very steep grading of the subsidence which
19 could have led to these ground fissures, the stretching of
20 the earth at the surface.

21 And then also the fact that these subsidence rings
22 were concentric around wells, it led us to believe that the
23 ground water production was potentially the cause of the
24 land subsidence and then the land subsidence was the cause
25 of the fissuring. That was the theory that we had in the
26 Optimum Basin Management Plan program, and it lead us to

1 doing a more detailed investigation to really figure out the
2 cause and pin down what some of the management criteria
3 might be.

4 Q (BY MR. FIFE:) Hence, Mr. Malone, what does the OBMP
5 call for with regard to subsidence?

6 A So the OBMP, what it called for was immediately to
7 try to minimize subsidence in the short-term while we would
8 conduct an investigation to collect the information to
9 better understand subsidence. We wanted to understand the
10 extent and the rate that it was currently occurring and what
11 are, most importantly, some of the mechanisms behind the
12 subsidence and the ground fissuring. And with that
13 information -- and this was going to be about a five-year
14 study -- with that information, to try to come up with a
15 long-term management plan with the goal of reducing or
16 abating future land subsidence and ground fissuring to
17 occur.

18 Q And what actions did Watermaster take to comply with
19 these requirements?

20 A They took all these actions. They formed a technical
21 committee, first and foremost, and the Technical Committee
22 consisted of Watermaster staff and then all representatives
23 and their consultants from MZ-1 pumpers. When I say MZ-1,
24 what I mean is the western side of Chino Basin, so pumpers
25 in the western side of Chino Basin, they were on the
26 Technical Committee, and so were some of their technical

1 consultants, and we formed that committee to design the
2 investigation and to meet periodically to revise the
3 investigation, to look over the results and so forth. And
4 it was also our information clearing house where we would
5 share data and ideas.

6 Q And so what has Watermaster done by way of
7 investigation of subsidence?

8 A Well, what we essentially did -- what our
9 investigations essentially entailed was a lot of ground
10 level monitoring, so we continued those ground level surveys
11 but on a more frequent basis. We go out twice a year and do
12 ground level surveys across the entire west side of Chino
13 Basin.

14 We also employed this radar satellite imaging of the
15 ground water basin as well and the way this works is pretty
16 interesting. There's a satellite that shoots a radar beam
17 down to the ground surface and then it reflects back. And
18 then it moves on, circles the earth and comes back a month
19 later and takes another one. And it measures very precisely
20 the amount of time it takes for that radar wave to rebound
21 off the land surface and come back.

22 And so then it interprets any differences in the time
23 it takes for that as a land surface change. And it has a
24 very high resolution, and we can learn a lot from it and
25 it's spatially continuous everywhere where our surveys are
26 pointed, measurements at certain locations. So we use this

1 data quite a bit, along with the surveys to monitor land
2 subsidence.

3 We also built a facility.

4 Patrick.

5 This is what some of the radar data looks like. And
6 what you're looking at here is the west side of Chino Basin,
7 again, and then you can see our subsiding trough here and
8 this very steep gradient of subsidence right here -- and
9 it's shown here in cross-section along the transect right
10 here. It's shown what that means, and that's 12 centimeters
11 over the course of a couple of years. But we built an
12 installation that's called the Ayala Park Extensometer.

13 What an extensometer is, it is a deep bore hole. In
14 this case, it was 1400 feet deep, and we put a cement plug
15 down at the bottom of it. And then we take a steel pipe and
16 we insert it into the hole and we just rest it on the bottom
17 of that cement plug. And the steel pipe comes and pops out
18 of the ground and it sits right there. Then what we do is
19 we build this very stable ground surface datum. These piers
20 go down about 30 feet. And they're anchored very solidly at
21 a ground surface. So if there's compaction that's occurring
22 in the aquifer system, this whole ground surface datum will
23 come down but that pipe will stay stationary.

24 And so what we do is we measure the displacement
25 between this ground surface datum and that pipe, and we do
26 it with transducers and we record it every 15 minutes. And

1 we do the same thing with the water levels and the pumping.
2 We really know what's going on with the wells and the water
3 levels and then what's going on mechanically in the aquifer
4 system. And this was instrumental in our investigation of
5 the land subsidence.

6 And what we did is we ran pumping tests where we
7 purposefully tried to draw water levels down so low that we
8 would cause some interlastic permanent compaction to occur
9 and some permanent land subsidence. Not much of it is
10 occurring anymore, so we needed to do a test where we could
11 find that water level that we didn't want to exceed in the
12 future so that that would become our management criteria in
13 the future. That was the whole purpose of the test in a
14 nutshell.

15 This is what the extensometer looks like, and we
16 actually have two of them, one really deep and one shallow,
17 so we got some resolution in where most of the compaction
18 was occurring in the aquifer system.

19 But here's this steel pipe. This is the well and
20 here's the steel pipe coming up out of it. These counter
21 weights right here stretch this steel pipe a little bit.
22 It's 1400 feet of steel and it's going to bend on itself and
23 rub up against the insides of the well. We wanted a
24 frictionless environment in here. So we take about 75
25 percent of the weight off the pipe and we stretch it out
26 there a little bit.

1 And here's our transducer, and this is our ground
2 surface datum that you can barely see up above. And we have
3 a transducer here that's recording the vertical displacement
4 between the pipe and that ground surface datum up top.

5 Q And, Mr. Malone, what were the results of your
6 investigation?

7 A Well, we were successful in identifying this
8 threshold water level. And we did cause a tiny bit of
9 permanent compaction. And so I would say that was the main
10 result.

11 Q And what actions has Watermaster taken to reduce or
12 abate subsidence?

13 A So they've implemented the long-term management plan.
14 And again, the long-term management plan uses this threshold
15 water level as our main criteria for the management of water
16 levels and, hence, the management of land subsidence in this
17 area here.

18 What we did was we identified -- this was the main
19 study area here, and this is the location of the Ayala Park
20 Extensometer, and then you have your ground fissures right
21 here. And these are a lot of the deep pumping wells that
22 are in the area. And so we call these wells here the
23 managed wells. And so -- but then we basically have a water
24 level here, an index water level here that we're tracking
25 very closely. And so far, water level -- we've kept water
26 levels above.

1 THE COURT: I don't think you answered the last
2 question really. What steps have been taken to reduce or
3 abate the subsidence and fissuring?

4 THE WITNESS: I think I would go back to the
5 establishment of this water level as our management
6 criteria. What we've done is we've established that water
7 level here. We've informed all the parties that this is the
8 water level, and we'll show you the water level on our
9 website. And you should manage your production here so that
10 you don't draw water levels beneath it.

11 THE COURT: All right. So that's a base line
12 situation?

13 THE WITNESS: Yeah. And --

14 Q (BY MR. FIFE:) Mr. Malone, why don't you tell us,
15 what are the major elements of Watermaster's long-term plan
16 to reduce subsidence?

17 A Just to make sure I covered them all, Michael, I've
18 written them down.

19 Well, first of all, it's a voluntary plan. That's
20 something you should know. It's not a mandatory plan.
21 Watermaster has asked the pumpers to comply with this plan
22 voluntarily.

23 Defined the managed area and the managed wells,
24 established the guidance level. It's called for the free
25 exchange of data between the MZ-1 parties here and
26 Watermaster. So Watermaster shares all of its monitoring

1 data, and the parties share all their pumping data and water
2 level data with Watermaster.

3 And it also calls for ongoing monitoring to occur
4 here. It also calls for expanded monitoring in other areas
5 of subsidence concern.

6 One of the results of our study not only was to deal
7 with this area right here but we also noticed that there was
8 subsidence occurring further to the north and further to the
9 east. And those areas we haven't done this sort of
10 investigation in. We didn't know as much about that
11 threshold water level and about the sediments and about
12 subsidence in general. And we're concerned about those
13 areas, and so part of the long-term plan is to expand our
14 monitoring out into these areas and collect more information
15 and do some testing in the future, if necessary.

16 And then lastly, the long-term plan, one of its key
17 elements is that we meet annually and we review the data and
18 discuss it. And if we want to modify the plan based on that
19 data, we have that opportunity on an annual basis to modify
20 the plan. So we like to think of it as a good example of an
21 adaptive management plan that can change over time based on
22 changed conditions that we note in our monitoring.

23 Q Mr. Malone, is subsidence still occurring in the
24 managed area?

25 A In the managed area, it seems to be completely
26 abated. We are not measuring any more permanent subsidence.

1 In fact, we had to run that test there very hard. We had to
2 draw down water levels very deep in order to even cause for
3 permanent compaction to occur.

4 Q Are there other areas that are of concern?

5 A Yes. And like I said, this northern area -- Can you
6 go on to the next slide.

7 This is our managed area down here in green, but we
8 have this area up here to the north that we really don't
9 know too much about. But we see the same sort of feature in
10 the satellite data that's indicated that the conditions for
11 the northward propagation of this fissure zone, that it's
12 there. And so we fear that and so we're doing a lot of
13 monitoring.

14 These black lines here represent where we're doing on
15 our ground level surveys. And so we're doing extra
16 monitoring in this area up here and trying to figure out
17 that subsidence phenomenon like we did down here.

18 And then off to the east here, this is an area where
19 our satellite data isn't too good. This whole gray area
20 represents the agricultural area and the satellite doesn't
21 work so well in the agricultural areas where there's a lot
22 of plowing, and there's just not a whole lot of consistency
23 to the ground surface like we have in urbanized areas.

24 So we also have a desire to pump from this region
25 over here in the deep zone. When I say "we", the City of
26 Chino and Chino Hills have wells over here that they've

1 drilled but are not pumping from yet. And then these over
2 here are desalter wells in white, and there's plans for new
3 desalter wells to come in down here and pump even harder.

4 And remember, our plans are to control water levels
5 down here, depress them, and then what you're going to be
6 hearing later on, this whole concept of basin reoperation,
7 where we plan on drawing down water levels out here in the
8 eastern and central parts of the basin.

9 So we think it's very prudent to be investigating
10 this subsidence potential over here in these areas as well
11 as in the future.

12 Q And finally, Mr. Malone, in your professional
13 opinion, will the long-term plan be effective to meet
14 Watermaster's commitments in the OBMP regarding subsidence?

15 A Well, I'll remind you that it's a voluntary plan. So
16 if the parties comply with the voluntary nature of the plan
17 and if we continue to do the monitoring and expand out into
18 these other areas, I think it has the potential to be a very
19 successful management plan for subsidence in the Chino
20 Basin, yes.

21 MR. FIFE: Thank you, Mr. Malone. We have no
22 further questions of this witness, your Honor.

23 THE COURT: Any other questions?

24 Thank you, sir

25 MR. FIFE: I will next call Dave Crosley.

26 Your Honor, and we'll still be on subsidence for the

1 next couple witnesses.

2 THE COURT ATTENDANT: Would you stand here, face
3 the clerk and raise your right hand, please.

4 DAVID CROSLEY,
5 called as a witness by the Watermaster, was sworn and
6 testified as follows:

7
8 THE CLERK: You do solemnly state the testimony
9 you shall give in this matter shall be the truth, the whole
10 truth and nothing but the truth, so help you God?

11 THE WITNESS: I do.

12 THE CLERK: Thank you.

13 THE COURT ATTENDANT: Please be seated.

14 Would you state and spell your name for the record,
15 please.

16 THE WITNESS: David Crosley, D-a-v-i-d,
17 C-r-o-s-l-e-y.

18

19 DIRECT EXAMINATION

20 BY MR. FIFE:

21 Q Mr. Crosley, what is your position with the City of
22 Chino?

23 A I'm the Water and Environmental Manager for the City
24 of Chino.

25 Q And how long have you been with the City of Chino in
26 that position?

1 A 14 years.

2 Q Were you involved in the subsidence issue on behalf
3 of the City of Chino?

4 A Yes, I was.

5 Q And can you tell us very briefly about the history of
6 subsidence in the City of Chino?

7 A Yes. In the early 1990's, fissuring in South Chino
8 located east of Central Avenue was observed on the State of
9 California property located at the Chino Institution For Men
10 prison and also on private property. At that time both the
11 State of California and the City of Chino commissioned
12 studies to evaluate the fissuring conditions. And the
13 results of those studies indicated that the fissuring was
14 associated with a rather significant land subsidence and
15 that the land subsidence was due to the lowering of ground
16 water levels as a result of ground water extraction from
17 deep wells.

18 Q And what actions did the city take in response to
19 those observations?

20 A Well, the city did not allow the City of Chino
21 Hills -- the City of Chino did not allow the City of Chino
22 Hills to complete the construction of Chino Hills Well
23 Number 18, which is a deep well located in the vicinity of
24 the fissuring that was observed.

25 Also, the City of Chino elected not to complete the
26 construction of one of its own deep wells also located in

1 the southern portion of Chino. The City of Chino hired
2 additional consultants to further evaluate the fissuring and
3 subsidence conditions and to confirm or not the results of
4 the earlier studies, and also, to more definitively
5 determine the cause of the subsidence.

6 Among those consultants were experts in the
7 application of synthetic aperture radar technology, the
8 technology that Mr. Malone mentioned a few minutes ago. And
9 the results of the radar work agreed favorably with the
10 ground level survey work that had been conducted earlier.

11 It confirmed that approximately two to two and a half
12 feet of land subsidence had occurred generally along Central
13 Avenue between Schaefer and Eucalyptus, which is a distance
14 of about one mile, and that that subsidence had occurred
15 within the most recent 12 to 13-year period.

16 Geotechnical consultants that were hired by the City
17 of Chino considered several different theoretical
18 possibilities for why this land subsidence might have
19 occurred and determined, based on their evaluation of the
20 available data, that the most likely cause of the subsidence
21 was the extraction of ground water from deep wells located
22 in the affected area.

23 Equipped with that information, the City of Chino
24 approached the Watermaster and asked the Watermaster for
25 assistance in regulating the amount of ground water that
26 could be produced from the wells and was advised that it

1 should pursue a Paragraph 15 motion. And so the City of
2 Chino did file a motion pursuant to Paragraph 15 of the
3 judgment requesting that the Court assume jurisdiction over
4 the subsidence matter.

5 However, that motion was continued when the
6 Watermaster stakeholders agreed to convene a process to
7 address the subsidence. That process involved the
8 development and implementation of the short-term plan
9 followed by a long-term plan.

10 The short-term plan logically included forbearance of
11 ground water production from certain wells. It also
12 included an ambitious program of data collection and
13 analysis that Mr. Malone also described a few moments ago.

14 That data included ground level survey data, the
15 synthetic aperture radar information, ground water
16 production information, ground water level information, and
17 also, the measurement information provided by the
18 extensometer that had been built. The analysis of all of
19 that data led to the identification of this critical
20 threshold depth. It was demonstrated that if the ground
21 water level was allowed to fall below this critical depth,
22 that there would be a permanent compaction of fine grain
23 soil materials resulting in the subsidence.

24 Q Do you disagree with any of the technical information
25 presented by Mr. Malone?

26 A No, I do not disagree with it.

1 Q Did you participate in the development of the
2 long-term plan?

3 A Yes, I did.

4 Q And what is the city's view of Watermaster's
5 long-term plan?

6 A Well, the long-term plan is a guideline. It's not a
7 requirement. It is in large measure a continuation of many
8 of the activities that were initiated with the
9 implementation of the short-term plan.

10 Certainly, we hope that the long-term plan will yield
11 satisfactory results, but it is a voluntary plan and so it
12 depends on the full cooperation of the Watermaster parties.

13 Q And does the City of Chino intend to voluntarily
14 comply with the long-term plan?

15 A Yes.

16 MR. FIFE: Your Honor, I have no further
17 questions for this witness.

18 THE COURT: Any questions from anyone?

19 Thank you, sir.

20 MR. FIFE: Our next witness will be Ron Craig.

21 THE COURT ATTENDANT: Raise your right hand,
22 please.

23 RON CRAIG,

24 called as a witness by the Watermaster, was sworn and
25 testified as follows:

26 / / /

1 THE CLERK: You do solemnly state the testimony
2 you shall give in this matter shall be the truth, the whole
3 truth and nothing but the truth, so help you God?

4 THE WITNESS: I do.

5 THE CLERK: Thank you.

6 THE COURT ATTENDANT: Please be seated.

7 Would you stated and spell your name for the record,
8 please.

9 THE WITNESS: Ron Craig, R-o-n, C-r-a-i-g.

10

11

DIRECT EXAMINATION

12

BY MR. FIFE:

13

Q Mr. Craig, what is your relationship to the City of
14 Chino Hills?

15

A I am a water resources consultant.

16

Q And when did you first become involved with Chino
17 Hills on Chino Basin matters?

18

A In 1996.

19

Q And were you involved with the subsidence issue on
20 behalf of the City of Chino Hills?

21

A I was. I am.

22

Q Mr. Craig, you've heard the City of Chino's testimony
23 about the causes of subsidence. Does Chino Hills agree with
24 this view?

25

A In general, yes. We just have felt that it is a
26 broader issue than strictly deep well pumping in one

1 specific location, I think, as evidenced by some of the
2 information that Mr. Malone had presented.

3 Q And do you believe that Watermaster's long-term plan
4 is adequate to address those issues?

5 A The plan, as ultimately developed and included in the
6 Peace II Agreement, we do believe has the mechanisms in
7 place to be successful.

8 Q And why is that?

9 A Well, first of all, as described earlier, it does tie
10 to a managed ground water level. We felt that was important
11 from day one.

12 Number two, there's a commitment associated with
13 Peace II in the long-term plan by Watermaster for actual wet
14 water recharge within Management Zone One specifically.
15 There's also a commitment by Watermaster to look at
16 expanding recharge capabilities within the area, whether
17 it's ASR, artificial storage recovery wells or other
18 mechanisms to allow water to be further introduced into the
19 ground water basin.

20 And finally, the commitment by Watermaster, as
21 described by Mr. Malone, to continue to monitor and learn
22 more about the basin, its characteristics and how we might
23 optimize the capabilities of the basin within Management
24 Zone 1.

25 Q And do you believe that Watermaster will follow
26 through with these commitments?

1 A We're very confident that Watermaster will follow
2 through with the commitments. They're tied hand in hand
3 with the Peace II documents, and also, the more recent Chino
4 Desalter Authority Expansion Provisions. So we're confident
5 that it will be successful.

6 Q And what has Watermaster done to follow through to
7 date?

8 A Mr. Malone described a significant amount of
9 research, investigation and monitoring that's gone on.
10 There has been wet water recharge back to the time that the
11 actual forbearance started where we were actually getting
12 wet water recharge in the Management Zone One and the
13 ongoing monitoring and testing that will, hopefully, allow
14 us to move into expanded production or actually production
15 on the more eastern side of the basin as alluded to by Mr.
16 Malone.

17 Q And now, you heard the description of the long-term
18 plan as a voluntary plan. Does the City of Chino Hills
19 intend to comply with the plan?

20 A We do. Whether the plan was voluntary or compelled,
21 we certainly do plan to adhere.

22 MR. FIFE: Thank you. No further questions of
23 this witness.

24 THE COURT: Anyone have any questions for Mr.
25 Craig?

26 All right. Thank you, sir

1 THE WITNESS: Thank you.

2 MR. FIFE: Next we'll call Mark Kinsey.

3 Your Honor, with this next witness, we're going to
4 continue under program element four dealing with Management
5 Zone One issues, but we're leaving the subsidence issue and
6 we're going to be dealing with other issues with regard to
7 management.

8 MARK KINSEY,
9 called as a witness by the Watermaster, was sworn and
10 testified as follows:

11
12 THE CLERK: You do solemnly state the testimony
13 you shall give in this matter shall be the truth, the whole
14 truth and nothing but the truth, so help you God?

15 THE WITNESS: I do.

16 THE CLERK: Thank you.

17 THE COURT ATTENDANT: Please be seated.

18 Will you state and spell your name for the record,
19 please.

20 THE WITNESS: My name is Mark Kinsey, M-a-r-k,
21 K-i-n-s-e-y.

22

23 DIRECT EXAMINATION

24 BY MR. FIFE:

25 Q Mr. Kinsey, what is your occupation?

26 A I'm currently the General Manager of Monte Vista

1 Water District.

2 Q And how long have you held this position?

3 A Since 1998.

4 Q Have you held any other positions in the Chino Basin?

5 A Beginning back in 1981, I was employed by Chino Basin
6 Municipal Water District, which is now Inland Empire
7 Utilities Agency. I've held several water-related positions
8 there.

9 Q And in your capacity of both Monte Vista Water
10 District and the Inland Empire Utilities Water Agency, have
11 you been involved in management issues with the Chino Basin?

12 A Yes, I have. I was originally employed by Chino
13 Basin to work for Watermaster. After about a six-month
14 period of time, I was reassigned to the formerly or Long
15 Range Regional Planning Program on the sewer side.

16 Q And in addition to subsidence, what other issue is
17 important for the successful management of Management Zone
18 One?

19 A Management Zone One, Ramsey 1, is like probably
20 anywhere else in the Chino Basin other than the current
21 subsidence programs that we have. We have water quality,
22 high nitrates, super chlorate problems. One of the issues
23 that has been kind of discussed today is long-term
24 hydrologic issues. And simply put, that's, over a long
25 period of time, the amount of water extracted from the basin
26 is roughly equal to the amount of water which is put back

1 into the basin.

2 Q Now, Mr. Kinsey, we've touched on the issue of
3 recharge a little bit in the prior testimony. Could you
4 explain in more detail what is meant by recharge.

5 A We have talked about it already. For the Chino
6 Basin, there's mainly two types of recharge and in the
7 context of supplemental recharge. There's wet water
8 recharge, which we physically spread water back into the
9 basin. We've talked about that at various spreading basins
10 where we might capture storm water, recycled water or
11 supplemental imported water supplies.

12 The second type of recharge is what we call paper
13 recharge, where an individual or an agency who has
14 production rights in the basin is not using those will sell
15 or assign those to a producer who will use them as part of
16 meeting their demand.

17 Q And why is recharge important to your agency?

18 A I think when you talk about recharge, it's really
19 important to the entire Chino Basin. Under the judgment,
20 there's a concept of equal access to the basin. The
21 judgment considers the basin a big bathtub. And all the
22 parties have equal access or equal rights to the ground
23 water basin regardless of where recharge or production is
24 occurring within the ground water basin.

25 So under that concept, what Watermaster needs to do
26 or what the parties need to do is to ensure that recharge is

1 put in locations that will balance production with actual
2 recharge.

3 Q And what prompted your agency to so actively promote
4 wet water recharge?

5 A I think I kind of alluded to that a little bit just a
6 minute ago. Again, the basin is treated as a big bathtub,
7 and all the parties have common access to it. Over a period
8 of time, we saw that the Watermaster was moving from a wet
9 water recharge approach to managing overproduction in the
10 basin to really paper transfers. That began occurring in
11 the 1990's.

12 THE COURT: When you say paper transfer, what do
13 you mean?

14 THE WITNESS: That's where an agency who has
15 unused production rights will sell those or transfer those
16 to an agency who uses those to offset overproduction.

17 Q (BY MR. FIFE:) And you just testified that in the
18 1990's, Watermaster's approach to recharge was to emphasize
19 paper transfers. Has that approach changed since the OBMP?

20 A Under Peace Agreement I, there are specific
21 provisions established where with the management zone,
22 Watermaster would recharge 6500 acre feet a year, at a
23 minimum. And then also, any other unmet recharge activities
24 would occur first on the west side of the basin and then
25 move over to the rest of the Chino Basin.

26 Q Has Management Zone One seen any benefits from this

1 change in management approach?

2 A Over the short-term, yeah. Our wells, in specific,
3 we've seen some increase in ground water levels when the
4 recharge program was occurring. We also have some water
5 quality improvements, which as long as you're recharging the
6 water, we do see improvements in water quality.

7 Q And what are some of the ongoing issues with wet
8 water recharge in Management Zone One?

9 A I think when you talk about wet water recharge,
10 there's really two issues within the Chino Basin. Some of
11 that Watermaster can't directly control. Others it can.

12 Right now, we're in drought conditions so access to
13 supplemental imported water supplies to recharge in the
14 basin is severely restricted or not available. So at least
15 in the near term, there's a limitation on how much water is
16 available for recharge.

17 Within the Chino Basin, there's a couple of issues.
18 One is to make sure, as we proceed with our recharge master
19 plan, that we properly identify the location for recharge
20 facilities, whether they be spreading basins or injection
21 facilities, to make sure that the recharge is in the proper
22 location within the basin. And then also, within the Chino
23 Basin, we have these requirements of maintaining long-term
24 hydrologic balance. And what that probably long term will
25 necessitate is some sort of program for Watermaster to
26 develop where there's a balance between paper transfers and

1 wet water recharge.

2 MR. FIFE: Thank you, your Honor. No further
3 questions for this witness.

4 THE COURT: Any questions for this witness from
5 anyone?

6 Yes, sir?

7 MR. KIDMAN: Art Kidman.

8

9 CROSS-EXAMINATION

10 BY MR. KIDMAN:

11 Q Mr. Kinsey, I'd like you to describe a little bit
12 more this paper water-versus-wet water transfer. When a
13 party overproduces in the basin, that is, produces more than
14 their production right under the judgment, they're required
15 to pay an assessment; is that right?

16 A That's correct.

17 Q And that assessment then is used to purchase water?

18 A That's correct.

19 Q And that water would then be physically recharged,
20 spread or sunk or percolated into the ground water basin or
21 injected?

22 A Yes.

23 Q Okay. Now, you, as a water manager, then have a
24 choice, if you have overproduction, that you can go and buy
25 someone else's production rights that has unused production
26 rights; correct?

1 A That's correct.

2 Q So that's what you meant by a paper transfer?

3 A Yes.

4 Q But in that instance, there's no assurance that the
5 recharge is going to follow the production because you're
6 still producing but there's no wet water involved?

7 A That's correct.

8 Q So just explain to the judge again why that's a
9 problem and how it's being addressed.

10 A I guess it would become a problem if you had a
11 situation where production within the Chino Basin, in either
12 the management zone or elsewhere or in the entire Chino
13 Basin, overproduction was being met completely by paper
14 transfers. And that would create a situation where while
15 water's being taken out of the basin, there's no physical
16 wet water recharge being put back into the basin. And that
17 would affect the principal -- could affect that principal
18 long-term hydrologic balance.

19 THE COURT: Thank you for that question, sir.

20 Anybody else?

21 MR. SLATER: Yes, your Honor, just briefly, one
22 clarification question.

23

24 CROSS-EXAMINATION

25 BY MR. SLATER:

26 Q Mark, Mr. Kinsey -- sorry -- when you mentioned paper

1 transfers, Mr. Kidman was walking you through the
2 distinction between paper transfers and wet water recharge.
3 The paper transfer represents a water right or production
4 right which is elsewhere in the basin; correct?

5 A That's correct.

6 Q And so a party has an allocated share of operating
7 safe yield which they hold; correct?

8 A That's correct.

9 Q And then when they underproduce, they then have an
10 excess right, which they can either store or transfer;
11 correct?

12 A That's correct.

13 MR. SLATER: Thank you.

14 THE COURT: Anyone else?

15 All right. Thank you, sir.

16 All right. We'll take a recess. We'll be in recess
17 until 3:00.

18 (Recess.).

19 MR. SLATER: Your Honor, given the hour of the
20 day, it's our opinion that with four witnesses left with
21 approximately 20 minutes, we may be able to finish by 4:30.

22 THE COURT: Okay.

23 MR. SLATER: If that suits your Honor.

24 THE COURT: Well, it doesn't.

25 THE COURT: My staff has to start wrapping up at
26 4:00. So in the old days, we sometimes would bend those

1 rules, but we can't do that anymore. So we're going to stop
2 at 4:00 or around 4:00.

3 MR. FIFE: And, your Honor, we'll try to get the
4 next four witnesses by 4:00.

5 THE COURT: That may cut down on any questions.
6 All right. Let's go.

7 MR. FIFE: Mr. Wildermuth, please run.

8 THE COURT ATTENDANT: Stand here, face the clerk
9 and raise your right hand.

10 MARK WILDERMUTH,
11 called as a witness by the Watermaster, was sworn and
12 testified as follows:

13
14 THE CLERK: You do solemnly state the testimony
15 you shall give in this matter shall be the truth, the whole
16 truth and nothing but the truth, so help you God?

17 THE WITNESS: I do.

18 THE CLERK: Thank you.

19 THE COURT ATTENDANT: Please be seated.

20 Will you state and spell your name for the record,
21 please.

22 THE WITNESS: It's Mark Wildermuth, M-a-r-k,
23 W-i-l-d-e-r-m-u-t-h.

24 / / /

25 / / /

26 / / /

1 DIRECT EXAMINATION

2 BY MR. FIFE:

3 Q Mr. Wildermuth, were you involved in the development
4 of the Recharge Master Plan?5 A I was involved in the development of the original
6 plan in '98 that was done by our firm or completed in '98,
7 and our firm collaborated with Black & Veatch on the
8 post-OBMP Recharge Master Plan that was completed in 2000.9 Q And we've heard about recharge a couple times already
10 so very, very briefly, could you tell us what is meant by
11 recharge.12 A Recharge is the act or process of putting water back
13 into the bath to replenish the ground water basin.

14 Q What are the elements of the Recharge Master Plan?

15 A The major elements of that plan were to take existing
16 flood control basins and convert them into conservation
17 basins, multipurpose basins that could do both flood control
18 as well as to capture and hold and recharge storm water. We
19 improved some existing conservation basins. We built new
20 basins and we built facilities, conveyance facilities,
21 improvements, diversions, et cetera, to make them work
22 better.23 Q And there's a graphic up on the board behind you.
24 Does this show -- Is this a map of Watermaster's recharge
25 facilities?

26 A Yes, it is. The map again is that familiar green

1 polygon of the Chino Basin. All these ones shown in blue
2 are active recharge basins as a result of the OBMP.

3 Q And could you, as an example, could you explain the
4 work of the Recharge Master Plan for one particular basin?

5 A This is the Turner Basin Complex, and I don't have a
6 pre-project air filter to show you.

7 Prior to the OBMP's first Recharge Master Plan, this
8 basin existed, this one existed but not used, and this whole
9 area was formerly in conservation but not used. In this
10 project, we installed a drop inlet here in Dear Creek, which
11 enables water to be moved into this Turner I and Turner III
12 Basin. We actually created these basins and improved their
13 shape. We built a rubber damn up here, which is an
14 inflatable device, it's a bladder which you fill up with
15 air; it becomes a damn. In order to divert more water into
16 Turner I, there's interconnections with these. Not shown
17 are recycle water pipelines which are to discharge recycled
18 water into these basins for additional recharge.

19 Q And can you tell us what were the original
20 expectations regarding the Recharge Master Plan?

21 A There were really two expectations. The first was
22 that we would be able to get new storm water recharge of
23 about 12,000 acre feet.

24 The supplemental water recharge, that is a portion of
25 the plan dedicated to replenishing the basin for Watermaster
26 with supplemental water, we originally designed that to

1 provide an average annual replenishment of 44,000 acre feet.
2 But because replenishment water is not available every year,
3 we had to oversize them to in the mid-sixties, mid-60,000
4 acre feet. By the time we completed these basins, we ended
5 up building basins that had a supplemental water recharge
6 capacity of closer to a hundred thousand acre feet.

7 Q And why is there now a renewed interest in updating
8 the Recharge Master Plan?

9 A Well, there are a few reasons. The first is that
10 from the time we did the OBMP and we came up with that
11 replenishment demand of 44,000 as an ultimate replenishment
12 requirement, production projections more recently have shown
13 that we need substantially more replenishment capacity.

14 The second reason is we're not getting as much storm
15 water recharge as we originally thought. We thought we were
16 going to get 12. We're probably getting closer to six. And
17 then the availability of state project water is
18 substantially less and its reliability is substantially less
19 than it was with the original Recharge Master Plan.

20 Q In your earlier testimony, you described a basin
21 management strategy known as basin reoperation. How does
22 the Recharge Master Plan relate to basin reoperation?

23 A Well, basin reoperation allows the desalter program,
24 the CDA, to use up to 400,000 acre feet from storage for
25 replenishing purposes. The CDA, their facilities, have no
26 water right in the basin per se other than to pump. So any

1 pumping they do needs to be replenished. So by allowing
2 them access to that 400,000 acre feet of control of
3 reduction and storage, it defers their replenishment
4 obligation into the future.

5 Well, that's going to come soon. About half of that
6 replenishment obligation will become real for wet water
7 recharge 2016 or 2015, so we need to get the recharge
8 capacity in before that happens.

9 Q And so could you describe for us the current ongoing
10 process to update the Recharge Master Plan.

11 A The first thing we're doing is we're validating the
12 ground water production projections. We're done and we're
13 trying to work with the producers to better understand the
14 dynamics of that production.

15 Mr. Malone's demonstration of some of the ground
16 water modeling capabilities, the future productions are
17 showing that -- these projections are showing that we're
18 having some problems getting water to everybody in the basin
19 who wants to pump. It's acute in the center of the basin,
20 and it's acute in the area where Jurupa Community Service
21 District is. So we're trying to do the balance of recharge
22 and discharge. We're actively involved in that.

23 One thing I forgot to mention a moment ago, and the
24 reason to do this is we're also projecting the safe yield to
25 go down in the future because of the urbanization of the
26 basin and the loss of recharge that occurs when the land was

1 in ag. So what we're doing is we're coming up with a series
2 of alternatives to meet the replenishment demand,
3 replenishment capacity demands, which could be facilities,
4 potentially new supplemental water sources, we're going to
5 roll those things out over time but we're going to match
6 that replenishment demand to these facilities. So that's
7 going to be happening this spring and through the summer.

8 All this is being done in a very transparent process.
9 We began working on what the scope of the Recharge Master
10 Plan was last spring, and we submitted that to the Court as
11 to what the outline of that report would look like. We
12 spent the summer scoping. We rolled out a scope of work, a
13 schedule and what the deliverables would look like in the
14 fall, and the work is ramped up and is going a hundred
15 percent right now.

16 Q Could you describe for us what you anticipate the
17 updated Recharge Master Plan will look like?

18 A In simple terms, we're going to have a schedule of
19 replenishment obligations out into the future that
20 Watermaster must meet. We're going to develop, again, some
21 alternatives which will meet that schedule, and the
22 alternatives will be ones like our current process where we
23 just buy supplemental water from Metropolitan. We have some
24 recycled water we recharge, and we go off into the future
25 with that.

26 We'll have alternatives that deal more with targeted

1 recharge, that deal with injection to get a better balancing
2 of recharge and discharge. We'll have alternatives that
3 look at other supplemental water sources. We'll have these
4 alternatives spelled out. We'll have cost estimates
5 prepared. We'll come up with a list of implementation
6 barriers on the environmental side. We're going to present
7 this to the group through workshops scheduled throughout
8 until -- starting in March and going through June of 2010.
9 And by the end of that process, we'll have created what I
10 call a palate that Watermaster and the stakeholders can
11 decide which alternatives they want to pursue.

12 Q Did you prepare the schedule for the development of
13 the Updated Recharge Master Plan that was submitted to the
14 Court in compliance with condition subsequent number seven?

15 A I did.

16 Q And does that schedule depend on deliverables from
17 other entities?

18 A It does. It depends on deliverables from the Chino
19 Basin Water Conservation Destrict, Inland Empire and the
20 consultants working on the project.

21 Q And in your opinion, are Watermaster and these other
22 parties on schedule to complete the Recharge Master Plan as
23 required by the Court in the December 21st order?

24 A Yes.

25 MR. FIFE: Your Honor, that's the last question
26 for this witness. We do have the issue of condition

1 subsequent number seven, which was submitted to the Court.

2 This was submitted -- this was approved unanimously
3 by all the pools, the Advisory Committee and the board for
4 submittal to the Court. We have no objection to the
5 requested approval for that condition so I'm not sure when
6 you want to deal with that.

7 THE COURT: We can deal with it now. I thought
8 that it had previously been approved. Perhaps I forgot to
9 say that at the November 13th meeting.

10 MR. FIFE: Yeah, number seven was submitted
11 subsequent to that hearing. That hearing only dealt with
12 one through six.

13 THE COURT: Yes, okay, you're right. Well,
14 without opposition, I'll approve it.

15 MR. FIFE: And then that was the last question
16 for this witness.

17 THE COURT: Any questions?

18 All right, next witness.

19 MR. FIFE: Next we'll call Mr. Thibeault.

20 THE COURT ATTENDANT: Stand here, face the clerk
21 and raise your right hand, please.

22 GERARD THIBEAULT,
23 called as a witness by the Watermaster, was sworn and
24 testified as follows:

25
26 THE CLERK: You do solemnly state the testimony

1 you shall give in this matter shall be the truth, the whole
2 truth and nothing but the truth, so help you God?

3 THE WITNESS: Yes.

4 THE COURT ATTENDANT: Please be seated.

5 Will you state and spell your name for the record,
6 please.

7 THE WITNESS: Gerard Thibeault, G-e-r-a-r-d,
8 T-h-i-b-e-a-u-l-t.

9
10 DIRECT EXAMINATION

11 BY MR. FIFE:

12 Q Mr. Thibeault, What is your job title?

13 A I'm the Executive Officer of the California Regional
14 Water Quality Control Board, Santa Ana Region.

15 Q And how long have you held that role?

16 A For about 20 and a half years.

17 Q What is the role of the Regional Water Quality
18 Control Board with respect to ground water in the Chino
19 Basin?

20 A The regional board is a state regulatory agency.
21 We're not a member of Watermaster. We're not associated
22 with Watermaster or the Inland Empire Utilities Agency. We
23 are a state regulatory agency with regional jurisdiction,
24 the Santa Ana Watershed.

25 Q And how do you develop and implement the regulatory
26 programs in the water shed, including for the Chino Basin?

1 A Our programs are developed through the Water Quality
2 Control Plan for the Santa Ana Region, which is commonly
3 referred to as the Basin Plan. It contains the water
4 quality standards for the entire water shed, both surface
5 and ground water.

6 Q What challenges did the Basin Plan pose for ground
7 water operations in the Chino Basin?

8 A The recently revised Salt Management Plan showed that
9 there was no assimilative capacity in the Chino Basin and
10 that because of the level that the standards for the Chino
11 Basin were developed in compliance with state law, that
12 recycled water could not be used for ground water recharge
13 in the Chino Basin.

14 Q And what was the response to these challenges?

15 A Chino Basin Watermaster and Inland Empire Utilities
16 Agency proposed a program that's come to be known as a
17 Maximum Benefit Program, which is taking a phrase out of the
18 state's anti-degradation policy, which allows -- the policy
19 allows quality objectives or water quality standards to be
20 changed if those standards continue to protect all the uses
21 of the water and if that change is to the maximum benefit of
22 the people of the state.

23 Q And is this approach used in other ground water
24 basins?

25 A No. Well, other ground water basins, Chino, Yucaipa
26 and Beaumont, but no other areas of the state have used it.

1 Q What commitments did Watermaster and IEUA make in
2 order to use this approach?

3 A Well, to demonstrate that a change of standards was
4 to the maximum benefit of the people of the state,
5 Watermaster and Inland Empire Utilities Agency committed to
6 do a number of things:

7 To have desalting in the basin, to pump up the poor
8 quality ground water and desalt it, export the salt, to
9 increase the salt -- desalting, to capture high quality
10 storm water runoff and build new facilities for doing that,
11 to reduce the use of water softeners in the basin to the
12 greatest extent they could, to recharge state project water
13 when that water is available and high quality.

14 And then most importantly, from our perspective, is
15 to operate the basin and to establish hydraulic control of
16 the ground water in the basin so that the poor quality of
17 water from the south end of the basin did not migrate into
18 the Santa Ana River and affect water quality in Orange
19 County.

20 Q Now, before lunch, we did hear a little bit about
21 what hydraulic control means. But could you explain from
22 your perspective what is meant by hydraulic control and why
23 that's important to the regional board.

24 A From our perspective, it's reversing the gradients of
25 the Chino Basin ground water so ground water doesn't enter
26 the Santa Ana River. And our understanding of that is that

1 its accomplished using the Chino desalting wells to pump the
2 ground water in the midpart of the basin and cause the
3 ground water to flow away from the river back to the north
4 so that the poorer quality water is then desalted and kept
5 from entering the Santa Ana River.

6 Q What happens if Watermaster and IEUA do not meet the
7 commitments that they made to the regional board?

8 A For the most part, Watermaster is doing a good job in
9 meeting its commitments. But with respect to hydraulic
10 control, we've had some problems. We all entered into
11 hydraulic control with the understanding that it's a very
12 complicated process. We make the first effort at achieving
13 hydraulic control, and then if it didn't work, you make
14 adjustments. And there was -- there were provisions in the
15 Basin Plan and in the Watermaster commitments where if
16 hydraulic control was found not to be occurring, then
17 Watermaster would take certain steps to correct that within
18 a certain period of time.

19 And because of the structure of Watermaster, it seems
20 to us, certain members of Watermaster could essentially hold
21 the process hostage so that the commitments that Watermaster
22 made to reestablish hydraulic control would be held up by
23 one or two of the agencies not working in concert with the
24 rest of the agencies to help achieve the hydraulic control
25 within the commitments made by Watermaster.

26 Q And so at this point in time, though, in your

1 opinion, how is Watermaster doing in meeting all of these
2 commitments?

3 A Lately, just very recently, Watermaster has taken the
4 steps to meet the commitments, but we were very near pulling
5 the trigger on reverting from the maximum benefit objectives
6 back to the other more restrictive objectives until
7 Watermaster was able to get all the members lined up and
8 start doing the things necessary to achieve hydraulic
9 control.

10 Q And, in your opinion, what do you think would be an
11 appropriate response going forward to ensure that the
12 commitments are met?

13 A Well, there are two things that could be done:

14 One, as I said, the regional board can make the -- If
15 the regional board makes a finding that the commitments are
16 not being met, then the anti-degradation, the more
17 restrictive objectives will kick in automatically.

18 And the other option we'd rather see is for the Court
19 to take jurisdiction and require that Watermaster and Inland
20 Empire Utilities Agency meet the commitments that they made
21 in getting the regional board to establish these objectives
22 that allow the operation of the Chino Basin as has been
23 described here earlier.

24 Q Are you also working with the Watermaster to address
25 plumes in the water basin?

26 A Yes.

1 Q How are you doing that?

2 A There are a number of plumes in the basin that were
3 not being addressed simply because of resources not being
4 available at the state to attack all of these plumes. And
5 Watermaster made the offer to do the engineering and the
6 scientific work to investigate the plumes, the location, the
7 direction they're moving, information with respect to water
8 quality in these plumes to help the regional board take the
9 enforcement actions necessary to address the plumes that
10 hadn't been investigated up to that point.

11 MR. FIFE: Thank you. No further questions for
12 this witness.

13 THE COURT: Any questions for this witness?
14 Thank you, sir.

15 MR. FIFE: Next is Mr. Jeske.

16 THE COURT ATTENDANT: Stand here, face the clerk
17 and raise your right hand, please.

18 KENNETH JESKE,
19 called as a witness by the Watermaster, was sworn and
20 testified as follows:

21
22 THE CLERK: You do solemnly state the testimony
23 you shall give in this matter shall be the truth, the whole
24 truth and nothing but the truth, so help you God?

25 THE WITNESS: I do.

26 THE CLERK: Thank you.

1 THE COURT ATTENDANT: Please be seated.

2 Will you state and spell your name for the record,
3 please.

4 THE WITNESS: Kenneth Jeske, K-e-n-n-e-t-h,
5 J-e-s-k-e.

6
7 DIRECT EXAMINATION

8 BY MR. FIFE:

9 Q Mr. Jeske, what is your occupation?

10 A I'm the Director of Public Works and Community
11 Services for the City of Ontario.

12 Q And how long have you held this position?

13 A A little over 10 years.

14 Q Have you held any other positions in the Chino Basin?

15 A Yes, actually, several. I was the Director of Public
16 Services for the City of Fontana, and for a good part of the
17 seventies and eighties, I worked in water supply regulatory
18 services for the County of San Bernardino.

19 Q And in your capacity with the City of Ontario, have
20 you been involved with the desalter project in the Chino
21 Basin?

22 A Yes.

23 Q And can you tell us briefly what is the purpose of
24 the desalter elements of the OBMP that's program elements
25 three and seven?

26 A Well, there's two basic purposes:

1 One, we just heard testimony on hydraulic control.
2 The other two elements relate to water quality.

3 Element three is a more generic element. Element
4 seven is the salt management. So the purpose of the
5 desalters is to manage the salt water quality and assist in
6 achieving hydraulic control through the pumping.

7 Q And how do desalters work?

8 A Desalters are very complex systems. In fact, the
9 ones that we operate through the Desalter Authority work
10 with several different chemical mechanisms. There are
11 essentially today two and three treatment plants because of
12 the nature of the water quality.

13 But basically, to desalt, you force water through a
14 membrane by reverse osmosis, consuming a lot of power to do
15 that, and you're forcing the salts and contaminants off and
16 taking the water. In this case, we use it as product water
17 for resale. But we also have ion exchange and air stripping
18 for other contaminants.

19 Q How many desalters are there in the Chino Basin?

20 A Currently, there's two. They've been built in two
21 different phases. There should be a map, as we bring it up,
22 that shows the first phase of the desalters. This built
23 plant number one over in this area. This shows the
24 distribution and raw water supply pipelines necessary.

25 The yellow on this map, for perspective, is the City
26 of Ontario's limit so it's an extremely large system.

1 The second phase -- and you can see the size of each
2 phase on the diagram. The second phase built the second
3 desalter plant, so there are currently two, and expanded the
4 first desalter plant and you can see the expanded amount.

5 The third phase, which is currently in design, which
6 is the one that achieves the total of the hydraulic control,
7 is then shown in green. It adds additional ground water
8 pumping sources.

9 A key element is the well field over in this area.
10 By the way, those test wells have completed the
11 environmental process. We have to go through environmental
12 process to do all this.

13 THE COURT: When do you expect phase three to be
14 running?

15 THE WITNESS: The plan is to have it up in about
16 three years and running. There's a number of factors that
17 could affect that process and that might be a subsequent
18 follow-up.

19 Putting this entire project together, this is about a
20 150 million dollar expansion. All of these activities we've
21 heard of by Watermaster, by the desalters, are primarily
22 placed as a cost back on the appropriators. The
23 appropriators are the water service agencies for everyone.
24 So all of these costs are passed back through to the rate
25 payer or customer of the water agency.

26 Q (BY MR. FIFE:) Now, you just indicated a cost for

1 the expansion. Can you give us an idea of the financial
2 cost for the first two phases of the desalter project?

3 A It was around 160 million. We have a depreciated
4 value today of 137 million.

5 Q And what, again, is the monetary value for the
6 expansion project?

7 A It's around 120 million to 130 million.

8 Q Who owns and manages the desalters?

9 A The Chino Basin Desalter Authority. It's a joint
10 powers made up of several cities, water districts and a
11 private company.

12 Q And what is the relationship between the Chino
13 Desalter Authority and the Watermaster?

14 A There's really no direct relationship. The Chino
15 Desalter Authority is a self-governed entity, so it serves
16 to meet goals through a partnership or cooperative approach
17 with the Watermaster. It was formed to help further some of
18 the goals of the OBMP and it's moving forward in that role.

19 Q And do the existing desalters fully satisfy the OBMP
20 goals for desalting?

21 A No. The existing ones do not but the expansion will.
22 I think currently we're removing 27,000 tons a year of salt
23 and we need to get up to about 38,000 in the expansion.

24 Q Could you describe for us some of the challenges the
25 CDA has faced in implementing the extension of expanding
26 these desalters?

1 A One of the first challenges was we needed a customer
2 for the water. Desalting is a very expensive process. Raw
3 costs of desalting itself is much higher than anybody's
4 retail water rates that I know of today in this region. So
5 we needed another customer. Through the Peace Agreement II
6 process, Western Municipal Water District indicated they
7 would participate with that. Not all of the agents that
8 were owners of the existing facilities wanted to participate
9 in expansion. So we needed to restructure the entire
10 organization of the Chino Desalter Authority. That took
11 about 12 months.

12 I know we heard testimony from the state that they
13 were a little disappointed in the length of time that took,
14 but I seem to recall it took pretty close to 10 years to get
15 everything in place for the first desalter, five for the
16 second, so we seem to be charging uphill on a pretty good
17 rate.

18 There, of course, is environmental work needed.
19 There's a lot of technical work needed. Again, when we look
20 at the map, this is miles and miles of pipeline and
21 inter-ties and delivery and they all have to tie into many
22 agencies' different operating systems. We have not stopped
23 that work. In fact, three agencies decided to move forward
24 with the expansion, the City of Ontario, the Jurupa
25 Community Services District and Western Municipal Water
26 District. We entered into a three-party agreement to help

1 fund these first phases, preliminary and environmental
2 design, and are moving forward with that. We also applied
3 to receive grants to assist in some of the not only design
4 work but construction work.

5 Now, unfortunately, we have learned that some of
6 those were Prop. 50 grants from the State of California.
7 We've got notification that those are being withheld right
8 now due to some of the economic crisis, and we've also been
9 able -- unable to look at assumed bond sales program with
10 the financial crisis that we have right now. So there's
11 been a number of issues that need to be worked through with
12 this desalter authority.

13 Despite that, we are still moving forward with the
14 design and environmental work and still planning to meet the
15 obligations of expanding this project.

16 Q Actually, I think we skipped this slide. Can you
17 tell us what this is.

18 A This is a slide -- This is actually a photo taken
19 from an aerial of plant number one, so you get an idea of
20 the type and size of the plant. The reverse osmosis is in a
21 building that I don't know if the pop up on this picture
22 will show up. I guess not. But inside that plant, you'll
23 see tubes, links of the reverse osmosis tubes. It's a very
24 capital intensive, very design intensive process with a
25 number of different treatment facilities, all of which
26 require a lot of hard construction work.

1 Q Thank you.

2 And so back to your previous question, despite all of
3 the challenges that the CDA faced in the expansion, in your
4 opinion, do you believe that the expansion will ultimately
5 be completed?

6 A Yes.

7 MR. FIFE: Thank you.

8 No further questions for this witness.

9 THE COURT: Any questions for this witness?

10 Thank you, sir.

11 MR. FIFE: Next we'll call Rich Atwater.

12 THE COURT ATTENDANT: If you'll stand here, face
13 the clerk and raise your right hand, please.

14 RICHARD ATWATER,
15 called as a witness by the Watermaster, was sworn and
16 testified as follows:

17

18 THE CLERK: You do solemnly state the testimony
19 you shall give in this matter shall be the truth, the whole
20 truth and nothing but the truth, so help you God?

21 THE WITNESS: I do.

22 THE CLERK: Thank you.

23 THE COURT ATTENDANT: Be seated.

24 Will you state and spell your name for the record,
25 please.

26 THE WITNESS: Yes, Richard Atwater,

1 R-i-c-h-a-r-d, A-t-w-a-t-e-r.
2

3 DIRECT EXAMINATION

4 BY MR. FIFE:

5 Q Mr. Atwater, I apologize. We put some of the
6 computers away, so I don't have the slides that I promised
7 you at the break.

8 Can you tell us your occupation.

9 A Yes. I'm General Manager of the Inland Empire
10 Utilities Agency.

11 Q And how long have you held that position?

12 A Since the summer of 1999.

13 Q And did you have anything to do with the Chino Basin
14 prior to that?

15 A Prior to that, I was a consultant to Chino Basin
16 Watermaster during the preparation of the OBMP.

17 Q Who is IEUA?

18 A The Inland Empire Utilities Agency, formerly known as
19 Chino Basin Municipal Water District, is a municipal water
20 district formed in 1950 by a vote of the people under the
21 Municipal Water District Act.

22 Q And can you tell us what are the principal functions
23 of IEUA currently?

24 A As a municipal water district, we were formed
25 originally in 1950 to become a member of the Metropolitan
26 Water District of Southern California so that we could

1 purchase imported water at that time from the aqueduct from
2 the Colorado River, and since the late 1970's, water from
3 the California State Water Project.

4 Also, in addition, since the 1960's, the district has
5 provided waste water treatment services throughout the
6 western part of San Bernardino County, the seven cities of
7 Fontana, Rancho Cucamonga, Upland, Montclair, Chino, Chino
8 Hills and the City of Ontario.

9 Q Can you tell us what is meant by imported water, how
10 that system works?

11 A Yes. As one of the 26 member agencies of the
12 Metropolitan Water District Southern California, the
13 Metropolitan Water District has its own Colorado River
14 aqueduct and imports water from the Colorado River. And
15 then in addition, they contract with the California
16 Department of Water Resources and import water from the
17 State Water Project, which, of course, is from Northern
18 California, the principal feature is Lake Oroville on the
19 Feather River.

20 Q And what is recycled water?

21 A Recycled water is highly treated municipal waste
22 water that is governed by regulations, Title 22 of the
23 California Administrative Code.

24 Q And why is recycled water important in the Chino
25 Basin?

26 A It's not only important in Chino Basin but it's

1 certainly important throughout Southern California and
2 statewide, both the California State Water Resources Control
3 Board and the water plan adopted by the California
4 Department of Water Resources looks at recycled water as the
5 most important new water supply.

6 But within the Chino Basin, as previous witnesses
7 have indicated, recycled water, because of the lack of
8 availability and reliability of imported water from the
9 Metropolitan Water District, from the Colorado River and the
10 State Water Project, recycled water will increasingly become
11 a significant supplemental source of supply within the Chino
12 Basin.

13 Q How much recycled water does IEUA currently
14 distribute in the Chino Basin?

15 A We have four waste water or sewage treatment plants
16 within the western portion of San Bernardino County. One
17 located in Rancho Cucamonga, one located in Ontario, and two
18 treatment plants in the City of Chino. Currently, those
19 four treatment plants produce annually about 60 million
20 gallons per day or 65,000 acre feet.

21 About one-third of that, about 20,000 acre feet, is
22 currently reused within the Chino Basin for irrigation of
23 parks, schools, golf courses, industrial uses, nondrinking
24 water purposes. And then we also recharge currently about
25 6,000 acre feet into the aquifer for supplemental recharge.

26 Q How much money has been invested in this supply?

1 A Since about year 2000, we've invested about 80
2 million dollars, and we have an overall adopted capital
3 improvement program of about 200 million dollars. So we're
4 going to spend about 120 million dollars over the next four
5 to five years.

6 Q And where does the funding for this come from?

7 A Primarily, our funding, besides our rate base, but
8 most of that funding is being provided by the State of
9 California through both grants and low interest loans
10 through the state agencies, and then the remaining portion
11 is coming from the U.S. Government through the Bureau of
12 Reclamation, and those are also federal grants.

13 Q Can you tell us what is the relationship between the
14 use of recycled water in the basin and the regional board's
15 Basin Plan Amendment that we heard about earlier?

16 A Yes. As Mr. Thibeault, the Executive Officer of the
17 Santa Ana Regional Board indicated in his testimony, the
18 basin plan, as he referred to it, for the Santa Ana River
19 Water Shed calls for long-term salt balance in maintaining
20 the water quality, the salinity of the Santa Ana River.

21 As part of that, for us to reuse and recycle our
22 municipal waste water within the Chino Basin, both the
23 ground water desalters and maintaining hydraulic control is
24 a way of ensuring that the water quality downstream in
25 Orange County is protected so that ultimately all the water,
26 municipal waste water in the Santa Ana Water Shed, can be

1 reused and recycled within Riverside County, San Bernardino
2 County and Orange County.

3 Q And what is your evaluation of the Overall Recycled
4 Water Plan in the Chino Basin?

5 A Well, over the last decade, the State of California,
6 both the Santa Ana Regional Water Quality Control Board, the
7 California Department of Public Health Services, that
8 regulates the use of recycled water, Chino Basin Watermaster
9 and then on the part of the utility agencies and all the
10 cities in our area, we've held numerous public hearings an
11 such, and we have not today received any written testimony
12 or any oral testimony in opposition to it. It's been a very
13 strongly supported activity within the Chino Basin.

14 MR. FIFE: Thank you. No further questions from
15 this witness.

16 THE COURT: Any questions for this witness?

17 All right. Is that all the witnesses you have?

18 MR. FIFE: We'll actually call one final witness,
19 Ken Manning, to testify about contamination.

20 THE COURT: All right.

21 THE COURT: You needn't swear him back in.

22 KENNETH MANNING,

23 called as a witness by the Watermaster, having previously
24 been sworn, was examined and testified further as follows:

25 / / /

26 / / /

1 DIRECT EXAMINATION

2 BY MR. FIFE:

3 Q Mr. Manning, you heard Mr. Thibeault's testimony that
4 the Watermaster works closely with the regional board to
5 manage the plumes of contamination in the Chino Basin. Are
6 you familiar with the work that has been done recently
7 regarding the plumes in the Chino Basin?

8 A Yes. As I mentioned in my previous testimony, I've
9 been in the basin now four and a half years. And when I got
10 here four and a half years ago, one of the things that the
11 board had asked me to do was to get more heavily involved in
12 development of a plan to work with these PRP's, potential
13 responsible parties, to remediate those plumes.

14 One of those things we did -- and Mr. Thibeault
15 mentioned that -- was we worked with him on developing the
16 plan and paying for the cost of doing the science necessary
17 for the orders to be written.

18 Q And could you briefly point to a couple of the major
19 plumes and describe some of the progress that has been made
20 in addressing them.

21 A Yeah, if I could. First of all, the largest plume in
22 the center is the Ontario Airport. We refer to it as the
23 OIA plume. This is a plume that is currently under
24 investigation. It's an area south of the Ontario Airport,
25 and currently, there are very few, if any, production wells
26 within this zone that are giving us any information about

1 what's happening there.

2 So we are currently working with the responsible
3 parties, potential responsible parties, on developing the
4 wells necessary. There are four monitoring wells going in
5 within the creek, and just east of the creek, in order to be
6 able to tell where in fact this plume is originating. We
7 have -- And that is, the regional board and the Watermaster
8 have reason to believe that it's coming from previous
9 post-war operations on the Ontario Airport area, so that's
10 where we've been concentrating our investigations is on
11 there. They seem to think it's coming from another location
12 and they'd like the opportunity to prove that so they're
13 working with that.

14 Another area where we're working very heavily now and
15 with the regional board is on the Chino Airport plume of
16 contamination, and that's a little further south. And it is
17 moving down toward the Prado Basin. And we are currently
18 working with the County of San Bernardino, which owns the
19 airport, on the -- they are the potential responsible party
20 on that particular plume -- in doing an investigation
21 necessary in order to be able to come up with a plan.

22 What I think is important to note is that the remedy
23 is already in place. The ultimate remedy is the Chino
24 desalter wells. What needs to happen now is that the
25 regional board, in working with the responsible parties and
26 with Watermaster, is determining whether or not the current

1 location of wells is sufficient in order to be able to deal
2 with these plumes or do we need to get more aggressive in
3 going up into the plumes and being able to deal with them?
4 If in fact we're going to do that, we'll have to work with
5 them.

6 And then ultimately, however, those people will pay
7 to the Chino Desalter Authority in order to offset their
8 cost to do that.

9 The other couple of plumes that I think are
10 prominent, these are G.E.'s. This is their Test Cell Plume
11 and Flat Iron Plume that are both isolated at this point in
12 time. They are not moving.

13 This is the Milliken Plume and it is not migrating.
14 The regional board has worked with them on a closure plan
15 that keeps it from migrating. And this is the Chino
16 Institution for Men Plume and it, as well, is not.

17 This is the world-famous Stringfellow Plume that's
18 located here. And the Department of Toxics is the lead
19 agency on that one. We monitor and attend all of their
20 meetings.

21 This small salt plume up here -- it's not small --
22 large salt plume up here is the Kaiser Well, and we're
23 monitoring that. We have a number of sentry wells in place
24 to monitor where that is going.

25 And overall, Watermaster has gotten much more
26 aggressive in the last four or five years making sure that

1 we're monitoring all the wells.

2 Earlier on, there was one piece of the testimony that
3 talked about perchlorate in the Chino Basin. We do have
4 spot wells around the basin that have detected perchlorate.
5 The work we have done in isotope studies at this point
6 indicate that all of that perchlorate is from imported
7 fertilizer from the Chilean Desert, and we're not finding
8 any smoking gun. So PRP's or any manufacturers that you
9 would find in other basins, we're not finding them here. So
10 at this point we don't have any proof that anybody has
11 produced anything that we're going to be able to go after
12 them.

13 So each one of the well owners at this point is
14 dealing with those individually.

15 MR. FIFE: Thank you, Mr. Manning.

16 And there are no further questions from this witness.

17 THE COURT: All right. Any other questions?

18 All right, fine.

19 MR. FIFE: Your Honor, that concludes our
20 witnesses. I believe Mr. Slater --

21 THE COURT: So you're done with your
22 presentation? We don't need tomorrow; is that correct?

23 MR. FIFE: That's correct, your Honor.

24 THE COURT: Give me -- There was something I
25 wanted to look up in your book of copies of what you showed
26 on the board. Do you have those hard copies?

1 MR. FIFE: I do, your Honor.

2 THE COURT: I need to look at one of them.

3 MR. FIFE: Perhaps, we might be able to direct
4 your attention.

5 THE COURT: That's all right.

6 All right. For the purposes of further monitoring
7 and further education of the Court and further creation of a
8 record, I'm going to set another hearing, and we're going to
9 talk about the first three -- At this next hearing, we're
10 going to talk about the first three of the so-called program
11 elements of the Optimum Basin Management Program.

12 And that will be comprehensive monitoring,
13 comprehensive recharge and water supply plan for impaired
14 areas, and I realize that there's some overlap, but I want
15 to go deeper into this, although I didn't find any of your
16 presentation deficient today. I thought it was well done.

17 I want you to talk -- to be prepared to present
18 evidence on those three areas, the first three areas on that
19 program element sheet. And I want you to talk about the
20 present project condition, future plans for that particular
21 project, projected time limits for the formulation and
22 implementation of that project, future anticipated problems
23 in implementation, whether they be in cooperation and/or
24 funding or some other anticipated problems. In other words,
25 environmental concerns that you think may arise or are
26 showing themselves now.

1 And so we'll discuss those three at the next hearing,
2 which I'm going to schedule for the 16th of April, at 10:00.
3 I'll set aside a day for that.

4 The next thing is Judge Gunn ordered that reports be
5 periodically provided, including annual reports and other
6 periodical reports. Those orders still stand, and at the
7 April 16th -- prior to the April 16th hearing, plenty of
8 time for the parties to respond, I want disseminated a
9 status declaration by the counsel for the Watermaster as to
10 the status of all reports that are then due or soon to be
11 due and produced. Okay?

12 MR. SLATER: Yes, your Honor.

13 THE COURT: Am I clear about all that?

14 MR. SLATER: Yes, you are.

15 MR. FIFE: Actually, I have a question.

16 THE COURT: Yes, sir.

17 MR. FIFE: So in saying that the reporting will
18 continue, are you referring to the OBMP status reports and
19 you would like those to continue to be produced?

20 THE COURT: Whatever reports previously ordered
21 by Judge Gunn, I want a declaration as to what's been done,
22 what needs to be done, if anything is late, I want some
23 statement as to that. If it's in the process of being
24 completed, I want a statement as to that. And then if
25 something is soon to be due, I want a statement as to what
26 progress is being made on that report. Okay?

1 MR. FIFE: Thank you, your Honor.

2 THE COURT: Because I don't want to have to go
3 back myself and look it up, so I want you to do it for me.
4 Okay? All right. That's about it.

5 Are these mine to keep?

6 MR. SLATER: Yes, sir.

7 Just a moment, your Honor.

8 Your Honor, just one quick point.

9 THE COURT: Sure.

10 MR. SLATER: It was the impression of Watermaster
11 counsel and staff, following the hearing on November 13th,
12 that this hearing and hearings like this might be used in
13 lieu of preparing the more, in many cases, voluminous
14 written reports. So we had suspended preparation of those
15 reports. So I just want your Honor to know that there may
16 be -- it would appear to be deficiencies in preparing those
17 reports given the time period between November and now.

18 THE COURT: And I think that's fair. And one of
19 my goals in setting this hearing and future hearings is to
20 lessen the need for those reports to be as detailed as they
21 have been in the past and to have that process go on of
22 kicking the reports back and forth and analyzing and so
23 forth. And if any of the parties desire more specific
24 information, I do want the quantitative nature of the
25 reports to be disseminated, but I don't need the updates
26 because I'm going to have you do that by testimony.

1 MR. SLATER: I understand, your Honor.

2 THE COURT: If you understand what I'm saying.

3 MR. SLATER: Absolutely, your Honor.

4 THE COURT: I'm trying to avoid those kinds of
5 reports in the future myself. I think they're money wasting
6 and time wasting to a large degree.

7 MR. SLATER: We appreciate that.

8 Your Honor, I had just one other matter. I
9 appreciate the indulgence of your Honor and your staff here
10 today.

11 It was suggested to Watermaster counsel during a
12 couple of the brakes that your Honor might be interested in
13 taking a field trip of the Watermaster facilities at some
14 point in the future. We have the hearing coming up but at
15 some point, whenever it's convenient for your Honor to get
16 out and see firsthand the physical facilities that the
17 witnesses are describing, it might be useful to you.

18 THE COURT: Sometime I might do that if I feel
19 like I've got nothing else to do.

20 MR. SLATER: Thank you, your Honor.

21 THE COURT: That hasn't happened in a couple
22 decades, but it might happen. All right. I'll see you then
23 next time.

24 (Proceedings for this date concluded.)

25

26

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26

SUPERIOR COURT OF THE STATE OF CALIFORNIA

FOR THE COUNTY OF SAN BERNARDINO

DEPARTMENT NO. S-32

HON. JOHN P. WADE, JUDGE

CHINO BASIN MUNICIPAL WATER)
DISTRICT, et al.,)
)
Plaintiff,)
vs.)
)
CITY OF CHINO, et al.,)
)
Defendants.)


NO. RCVRS 51010

REPORTER'S CERTIFICATE

COUNTY OF SAN BERNARDINO)
) ss
STATE OF CALIFORNIA)

I, BETTY J. KELLEY, C.S.R., Official Reporter
of the Superior Court of the State of California, for
the County of San Bernardino, do hereby certify that the
foregoing pages 1 through 164, inclusive, comprise
a full, true and correct transcript of the proceedings
held in the above-entitled matter reported by me on
February 2, 2009.

DATED this 10th day of February, 2009.


BETTY KELLEY, C.S.R.
Official Reporter, C-3981